

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Wednesday, September 24, 2014

1 PARTICIPANTS:

2 AKE ALMGREN
3 Orkas Energy Endurance

4 ANJAN BOSE
5 Washington State University

6 MERWIN BROWN
7 California Institute for Energy & Environment

8 MARILYN BROWN
9 Georgia Institute of Technology

10 PAUL CENTOLELLA
11 Analysis Group

12 RICHARD COWART
13 Regulatory Assistance Project

14 ROBERT CURRY
15 Curry Energy

16 CLARK GELLINGS
17 Electric Power Research Institute (EPRI)

18 PAUL HUDSON
19 Stratus Energy Group

20 GRANGER MORGAN
21 Carnegie Mellon, Engineering & Public Policy

22 JEFF MORRIS
23 Washington State House of Representatives

24 TIMOTHY MOUNT
25 Cornell University

26 CHRIS PETERS
27 Entergy Services, Inc.

28 SONNY POPOWSKY
29 EAC Vice Chair

1 PARTICIPANTS (CONT'D):

2 WANDA REDER
S&C Electric Company; IEEE

3
4 PAUL ROBERTI
Rhode Island Public Utilities Commission

5 HEATHER SANDERS
California Independent System Operator

6
7 CHRIS SHELTON
AES Energy Storage

8 DAVID TILL
Tennessee Valley Authority

9
10 GORDON VAN WELIE
Independent System Operator of New England

11 REBECCA WAGNER
Nevada Public Utilities Commission

12
13 AUDREY ZIBELMAN
New York Public Service Commission

14 CARL ZICHELLA
Natural Resources Defense Council

15
16 HONORABLE PATRICIA HOFFMAN
Department of Energy

17 MARY BETH TIGHE
Department of Energy

18
19 STEVE BOSSART
Department of Energy

20 CAITLIN CALLAGHAN
Department of Energy

21
22 DAVID MEYER
Department of Energy

1 PARTICIPANTS (CONT'D):

2 TITLAYO OGUNYALE
3 Department of Energy

4 JOSEPH PALADINO
5 Department of Energy

6 MATT ROSENBAUM
7 Department of Energy

8 REBECCA ROSENBERG
9 Department of Energy

10 JOYCE VITALO
11 Department of Energy

12 JAMES DALY
13 Northeast Utilities

14 BEN D'ANTONIO
15 New England States Committee

16 CHUCK GOLDMAN
17 Lawrence Berkeley National Laboratory

18 KRISTINE MAYES
19 Arizona State University

20 JAMES PEDERSON
21 Federal Energy Regulatory Commission

22 ANNE PRAMAGGIORE
23 Commonwealth Edison

24 JIM SLAUGHTER
25 Capitol College

26 MARY TOLER
27 Battelle

28 HOWARD VAN HORN
29 Capitol College

1 PARTICIPANTS (CONT'D):

2 SAMIR SUCCAR
3 ICF International

4 ELLIOT ROSEMAN
5 ICF International

6 ANDREA WAGNER
7 ICF International

8 MAUREEN MALLOY
9 ICF International

10

11 * * * * *

1 P R O C E E D I N G S

2 (1:14 p.m.)

3 CHAIRMAN COWART: If you heard, please
4 take your seats. Good afternoon. For the record,
5 this Richard Cowart, I'm Chair of the EAC. And
6 this is a regular, Formal Meeting of the
7 Electricity Advisory Committee.

8 As many of you know, as the Formal
9 Meeting of a FACA Advisory Committee, a transcript
10 is taken of this of this meeting, and so whatever
11 is said will be recorded. For that reason it's
12 important that when are speaking you turn your mic
13 on, and other people turn their mics off, so that
14 the recorders can hear. If there are any members
15 of the public who wish to address the Committee,
16 there's time set aside at the end of the meeting
17 tomorrow. So, please sign up, and so that we can
18 plan for that.

19 Okay. A couple of announcements; during
20 this meeting, we've got four documents that are up
21 for approval, and again this is the formal
22 Advisory Committee, and so our documents need to

1 be approved formally, so we'll have to do that
2 with a vote and discussion and an approval vote.
3 And one of the things we've learned in the past is
4 that if you've got an issue to raise concerning
5 one of the documents, it's probably a good idea
6 not to wait till the moment of the vote in order
7 to raise it.

8 And so, we always encourage you, if you
9 have an issue with a document, if there's
10 something you'd like to see fixed, or a problem
11 you have with it, to seek out the Subcommittee
12 Chair, or seek out the author of that section of
13 the text, and just try and work it out on the side
14 before we come to the Committee Meeting. It's
15 okay, if you don't, but it's just an idea if you
16 have the opportunity to do that, please do so.

17 We have discussed in this Committee the
18 idea of creating a new working group on cyber
19 security, and I just wanted to let you know that
20 that will be touched on, I think, in one of the
21 topics this afternoon. But it will come back
22 before us for a conversation again, tomorrow. So

1 you might want to give that some thought. And
2 then we are going to go around the room in a
3 minute, and introduce ourselves.

4 I'd like to extend an invitation to the
5 new members of the Committee, and when we come to
6 you, just, please say a few words about where you
7 are coming from, and we'd like to welcome you to
8 the Committee. And let everybody hear a little
9 bit about your interests.

10 And in that vein, it's important to
11 understand that the real work of this Committee
12 happens in the sub- committees. And the reason
13 that the Committee has been as successful and
14 interesting as it is; is largely due to the work
15 of the sub-committees.

16 So each of the new members should speak
17 with us or the Sub-Committee Chairs in order to
18 find yourselves recruited to participate in the
19 real work of the Committee, we really want to tap
20 your brains, and get you involved in the
21 substantive Sub-Committee work.

22 We have had a Leadership Meeting just

1 prior to this one, where we discussed all of the
2 ideas for important topics that the Committee
3 should be addressing in 2015, and you won't be
4 surprised to learn that the list far exceeds the
5 capacity of any committee like this, to do it all.

6 And so we are going to have some
7 winnowing process largely in the sub-committees,
8 but it will also be the case that as we go through
9 the Panels, and with the approval of the work
10 products in this meeting, and in that conversation
11 you should have in mind, the question, what is it
12 that this Committee should contribute next year,
13 to this topic? Or is this topic one that we've
14 basically considered closed for now?

15 And so, feel free to make the
16 recommendation; hey, that's a topic that I think
17 the Committee ought to address in the following
18 way. We should have a panel on it; we should
19 write a paper on it, we should make the
20 recommendation to the department. Whatever it is
21 that you are -- that you believe we should be
22 focusing on; we will create a list of all those

1 recommendations. I have 11, 12 on my list so far,
2 and I would expect in the next day we'll get a few
3 more. And then we'll create work plans in the
4 sub-committees that focus on the most important
5 ones.

6 That's, it from me right now. And
7 usually Pat Hoffman would be here at this point to
8 issue words of welcome from the Department, and
9 also to sort of talk about the work plans of the
10 department and what they see -- what she sees
11 ahead for this Committee. I'm told she's on her
12 way, so she'll be here in just a few minutes.

13 Why don't we take this time to just go
14 around the room and introduce ourselves, and in
15 particular welcome the new members? We'll start
16 here with Anjan.

17 MR. BOSE: I'm Anjan Bose, from the
18 Washington State University, in Pullman,
19 Washington, where I teach Electrical Engineering.

20 MR. HUDSON: I'm Paul Hudson, from
21 Austin, Texas. I'm a Former State Regulator like
22 some other folks in the room. And I have an

1 investing and advising firm based out of Austin.

2 MR. ROBERTI: I'm Paul Roberti, I'm a
3 Commissioner at the Rhode Island Public Utilities
4 Commission, and I've been there five years.

5 MR. BROWN: Marilyn Brown, I'm Professor
6 in the School of Public Policy. I teach Energy
7 and Climate Policy at Georgia Tech, and I'm also a
8 Member of the Board of Directors of the Tennessee
9 Valley Authority.

10 MR. ALMGREN: I'm Ake Almgren, I'm a new
11 member. My background is Transmission
12 Distribution, Distributed Generation. For 25
13 years I worked for ABB, everything, from electric
14 meters to high voltage DC, so I think I know
15 transmission distribution. I was CEO of Capstone
16 Turbine Corporation, and at present I serve on the
17 PJM Board of Directors, where I Chair the
18 Liability Committee.

19 MR. CENTOLELLA: Paul Centolella, I'm a
20 Former Commissioner of the Public Utilities
21 Commission of Ohio. Since our last meeting, I've
22 stepped back from being full time at Analysis

1 Group, but maintain an affiliate relationship
2 there. And I found that doing that has not
3 lessened my workload at all. So I'm, you know,
4 continuing to enjoy that, and as well as do other
5 things, including with one of our other members at
6 the National Academy of Sciences Panel on the
7 adoption of Advanced Energy Efficiency and Clean
8 Energy Technologies.

9 MS. ZIBELMAN: Hi. I'm Audrey Zibelman.
10 I'm also a new member. I'm Chair of the New York
11 Public Service Commission, but I have been in the
12 electric industry probably since the late '80s.
13 As a Regulator I was an Executive at Xcel. For a
14 while Wanda and I got to work together. I was
15 Former Chair -- Former COO of PJM, and had my own
16 company, Viridity Energy, which did demand
17 management using predictive software.

18 MR. PETERS: I am Chris Peters, I'm with
19 Entergy, and I'm Head of our NERC Liability
20 Program.

21 MS. WAGNER: Good afternoon. I'm
22 Rebecca Wagner. I'm a Commissioner with Public

1 Utilities Commission of Nevada.

2 MR. GELLINGS: I'm Clark Gellings, I'm
3 with the Electric Power Research Institute.

4 MR. BROWN: I'm Merwin Brown, A Director
5 of Electric Grid Research, at California Institute
6 for Energy and Environment, at the University of
7 California.

8 MR. TILL: I'm David Till with the
9 Tennessee Valley Authority. I work in
10 Transmission Strategy.

11 MS. REDER: Wanda Reder. I'm with S&C
12 Electric Company in Chicago, and also a Member of
13 the Board of Directors for IEEE.

14 MR. PEDERSON: I'm Jim Pederson with the
15 FERC. I've been there for 35 years in various
16 positions. I'm an Attorney, an Economist. The
17 last 14 years I've been a Senior Legal and Policy
18 Advisor to two Commissioners; the last four as
19 Chief of Staff for Chairman Wellinghoff; and now
20 I'm Associate Director in our Policy of -- our
21 Office of Policy. Thank you.

22 MR. POPOWSKY: I'm Sonny Popowsky. I'm

1 formerly the Consumer Advocate of Pennsylvania,
2 and I'm the Vice Chair of this Committee.

3 CHAIRMAN COWART: I'm Richard Cowart
4 with the Regulatory Assistance Project. For the
5 past five years I've been directing our team of
6 people in Europe, based in Brussels.

7 MR. MEYER: I'm David Meyer from the
8 Daily DOE Electricity Office.

9 MR. ROSENBAUM: I'm Matt Rosenbaum, also
10 from DOE.

11 MS. TIGHE: Good afternoon. I'm Mary
12 Beth Tighe. I'm on detail from FERC to DOE, to be
13 the Acting Manager of the Electricity Delivery
14 Division, which is the group that provides support
15 for this Committee. I know many of you from work
16 in other committees, other fora, and I'm very much
17 looking forward to working you on this Committee
18 as well.

19 MR. VAN WELIE: Good afternoon. My name
20 is Gordon van Welie, I'm with ISO New England,
21 President and CEO.

22 MR. SHELTON: Hello. I'm Chris Shelton.

1 I'm from AES, and I lead a group that includes an
2 energy storage business that we've been working on
3 for several years, as well as a newly-formed
4 Distributed Energy Resource business.

5 MR. MORRIS: Hi. I'm Representative
6 Jeff Morris from Washington State, a new member to
7 the Committee. I'm finishing up my ninth term, or
8 my 18th year, in the State House. I've chaired
9 the Energy Committee most of that time, and I
10 currently Chair the Committee as
11 Telecommunications, Technology Energy and Economic
12 Development. I also Co-Chair the National Energy
13 Taskforce for the National Conference of State
14 Legislators. And my day job I actually have an
15 energy company, I work with energy startups in the
16 commercialization process. Co-founded Northwest
17 Energy Angels, which has got about 89 Angel
18 investors out in the Northwest that looks at 3D
19 outflows every other month; so I looking forward
20 to working with this group.

21 MR. CURRY: I'm Bob Curry. As many of
22 you know, I wasn't smart enough to get into this

1 business at the start, so I did when I became a
2 Commissioner on the New York Commission about
3 eight years ago. I've been off for two years; I'm
4 going back to my old ways of corporate
5 transactional law, but keeping more, an elbow and
6 a hand in the energy sector. And I welcome all
7 the new members.

8 MR. ZICHELLA: Carl Zichella, with the
9 Natural Resources Defense Council. I'm Director
10 of Western Transmission for NRDC. I also work
11 with WECC on their Transmission Expansion Planning
12 Policy Committee. And I worked with David on the
13 Power Delivery Sub-Committee.

14 MS. SANDERS: I'm Heather Sanders, with
15 the California ISO. It is an honor to be part of
16 this Committee. I am a new member, and I really
17 appreciate being here. I've been at the ISO about
18 five years. I am responsible for Regulatory
19 Affairs, with the State of California, related to
20 Distributed Energy Resources, specifically.

21 Part of this role, I've started our
22 organization for Smart Grid, and built that group

1 to understand how smart group technologies could
2 benefit an ISO. And before that, I worked in
3 various consulting, software organization, design
4 and management consulting, helping all types of
5 participants enter the wholesale markets.

6 MR. MORGAN: I'm Granger Morgan. I'm at
7 Carnegie Mellon University where I Co-Direct two
8 centers; one on Climate and Energy
9 Decision-Making, and one called the Carnegie
10 Mellon Electricity Industry Center.

11 MR. MOUNT: I'm Tim Mount. I'm very
12 pleased to be a new member of this Committee. I'm
13 a recent Emeritus Professor since July, at Cornell
14 University in the Dyson School of Applied
15 Economics and Management. I've been working on
16 energy issues since just before the oil embargo in
17 '73, and recently working with the Power Systems
18 Engineering Research Group, PSERC, on various
19 problem-facing utilities relating to integrating
20 renewal resources, and what I would call market
21 barriers to the potential benefits from greater
22 demand side participation.

1 CHAIRMAN COWART: All right. Thanks,
2 everybody. And I do repeat, a warm welcome to the
3 new members, and congratulate the Department for
4 being able to attract such terrific people to this
5 Committee. And also to Mary Beth, it's good to
6 see you; and Jim, who I think will be with us
7 representing FERC for some time.

8 MR. PEDERSON: Some time; I have 35
9 years with (inaudible).

10 CHAIRMAN COWART: Yeah. Right. Okay.
11 Thanks. I think we should just turn to hearing
12 from the Department. Joe Paladino is here from
13 the Department, and if I could -- you know, we are
14 a little ahead of ourselves here, but to ask Joe
15 to come and give his report on the ARRA update.

16 MR. PALADINO: Thank you very much. We
17 sure appreciate that very much. Well, there's
18 been a lot of work done. What I want to do is I
19 want to share where we are at, providing some
20 results to you, just to update you on that. But
21 I'll also share with you, and go through a
22 document that I provided, that I think all of you

1 have, and we are going to go through that.

2 Just to show what kind of products and
3 information we are trying to get out into the
4 industry and to the regulator community, so that
5 we can inform them more on what the value is
6 basically, of the smart grid investments that
7 we've made through the Recovery Act programs.

8 So if we can just skip to the next
9 slide, please? Oh, and I guess I have this, don't
10 I -- how it works? Okay, great. The various
11 goals that drive us are summarized here. We had
12 to rapidly deploy getting the Recovery Act
13 (inaudible) result. The primary areas where we
14 deployed and where we are in the Smart Grid
15 Investment Grants Program, and the Smart Grid Demo
16 Program, we basically had nine months to put that
17 altogether and get a solicitation on the street.

18 And our job has been to really try to
19 program, either it be astute program managers of
20 those funds. I'm going to talk a little bit about
21 where those programs are. One of our main
22 objectives was to communicate results as well as

1 cost and benefits, support decisions for continued
2 investment, and wanted to be able to advance cost
3 benefit methodology in this area, so that folks
4 could better value smart grid technology
5 investments.

6 We've engaged stakeholders throughout
7 the whole process, now we are finding ourselves
8 engaging more on states, and we welcome that, as
9 well as municipal governments. There are some
10 municipal governments who have taken the
11 technology to the next level, almost to the smart
12 cities level, and we are working really close with
13 folks like that, and we want to continue our
14 efforts with those folks.

15 We've really advanced the
16 state-of-the-art in cyber security. Every one of
17 these projects, needed to develop a cyber security
18 plan, and we had experts that reviewed those
19 plans. In addition, we had annual meetings where
20 all the recipients would come together and share
21 lessons learned with respect to the cyber security
22 plans. As a result they -- many of the utilities

1 which are low on the totem pole in this area,
2 realize the effort, the actual effort, the
3 organizational effort it takes to actually be on
4 top of the cyber security aspect of this.

5 Many of the utilities have actually
6 instituted new -- established new departments, and
7 the utilities that got dedicated personnel. And
8 we've also developed a Cyber Security Maturity
9 Model to go along with it, so there's been a lot
10 of effort there. In addition to that, funds were
11 given to the National Institute of Science and
12 Technology to help us develop in our operability
13 standards. This is still something that we really
14 need to address, systems integration and
15 interoperability.

16 There is a whole architecture process
17 going on, there's a standard development process
18 going on, but I think moving into the future, we
19 are really going to have to focus on advancing
20 concepts and options for good architectures, as
21 well as on control systems. To really be able to
22 develop the advanced kind of grid that many, many

1 of us are looking at going to the future.

2 And finally, because of the information
3 we are getting, we are in a position to evaluate
4 the progress of the adoption rate, and what the
5 issues are relating to that smart grid technology.
6 And so we've been able to capture some of that in
7 the smart grid systems report, which we just
8 recently issued.

9 And we are also working with our Energy
10 Systems and Policy Analysis Office to try to
11 determine really what the status with respect to
12 smart grid deployment. What the associated issues
13 are with that, and what is the best path to
14 actually address those issues.

15 So if you go to the next slide. I guess
16 I could do that -- I'm sorry. Okay. This is a
17 very quick snapshot of the Smart Grid Investment
18 Grant Program; I think we've expended over 95% of
19 all the funds. Okay. And we are talking a
20 combined level of funding between the government
21 provided, and what industry provided. It's close
22 to \$8 billion. Really 99 projects across the

1 country, some of these range from \$600-million
2 projects, down to like \$5 million projects, these
3 are multi-year projects.

4 Half of the money went to deployment of
5 advance metering infrastructure, including not
6 just the smart meters, but also the communications
7 infrastructure supports them, and all the IT
8 infrastructure that supports that. Okay. About a
9 third to a quarter of the money went to advancing
10 distribution systems in the areas of deploying
11 things that would improve the liability, like
12 automated feeder switches, to technologies that
13 also improve voltage regulation, automated
14 capacitors, the voltage regulators, et cetera.

15 And again, all the communications
16 infrastructure and information management
17 infrastructure, there's need to control those.
18 And there are lots of varieties of the way people
19 are actually trying to control the technology;
20 distributed controls, or decentralized controls,
21 or mixtures of those.

22 And then finally about 10 percent of the

1 money went to deployment of synchrophasor
2 technologies. And I'm going to provide some
3 examples of what we are seeing in each of these --
4 each of these areas. And of course the
5 synchrophasor technologies are deployed mostly
6 across the distribution transmission system and,
7 I'll get to that.

8 The second major area is the Smart Grid
9 Demonstration Program. And, again, this was --
10 this represents \$1.5 billion worth of investment
11 across the two projects. After the projects --
12 the energy storage projects the other half were
13 really smart grid implementation projects. That
14 varied widely and they were actually trying to
15 look at and demonstrate new concepts for applying
16 smart grid technology.

17 So, for instance, one of the projects,
18 the Batelle Project, this you probably all know
19 about, but deals with responsive equipment, and
20 responsive appliances within people's homes; and
21 those appliances actually responding to real
22 signals coming off the transmission system.

1 That's one large project.

2 Another project has to do with -- is a
3 Pecan Street Project, where that community in
4 Austin, Texas, is actually really trying to
5 integrate distributing energy resources, roof top,
6 solar cars, et cetera, into a community, and
7 really took a -- take look at the financial as
8 well as the technical feasibility aspects of all
9 of that.

10 So we've expended over 80 percent of the
11 funds in this area, and some of these projects,
12 like the energy storage projects are going to go
13 out past 2015. There are a few of those. One
14 thing that we tried to do is really focus our
15 understanding and the way we depict smart grid
16 technology, so it's not a black box, but rather
17 there are specific application areas by which we
18 can describe, not only for the technologies being
19 applied, but also what the associated costs, or
20 what the associated benefits are.

21 So if you actually look across the top
22 row, these are basically the application areas

1 that we mostly are focused on. And the left-two
2 columns deal with advanced metering
3 infrastructure, the furthest left one deals with
4 applying advanced metering infrastructure to be
5 able to address peak and overall demand
6 reductions. And so that technological arena, that
7 application deals, not only with getting price
8 signals to customers, but getting customers
9 systems and technologies they can use to be able
10 to better control their technologies.

11 So that's one applications area.
12 Another application area with the restructure; and
13 it measures what advantage does it bring to
14 utility? And so we are looking very hard at those
15 projects, where we are seeing actual results, and
16 we are looking at operational and maintenance cost
17 efficiencies with respect to deploying (inaudible)
18 my technologies. As I move across, as I move
19 across this list, we are looking at fault
20 location, isolation and restoration technologies,
21 such as automated feeder switches and the impact
22 of that technology area. Really, what sensors do

1 we want to program, like transformers, and how
2 that will actually improve the utilities'
3 understanding of the stress levels, and lifetime
4 of those transformers, and be able to incorporate
5 that into their decision-making processes, so they
6 can move, too, from a schedule-based maintenance
7 to more of conditional-base maintenance.

8 Program and improve, obviously, their
9 operational efficiencies and improved reliability.
10 The other -- the next area is voltage management,
11 approved voltage management on feeders, and the
12 last has to do with synchrophasors, and we've
13 tried to actively map these technology areas
14 against specific benefits.

15 Now, if you look across -- if you look
16 down the left-hand column, you'll see that we are
17 looking at enhanced utilization of resources,
18 energy use reduction, reliability improvements,
19 operational maintenance cost savings, reduced
20 electricity cost to customers, lower pollutant
21 emissions. And how these technologies actually
22 would enable to a greater extent, renewable and

1 distributed energy technologies, and what kind of
2 flexibility we can bring to distribution and
3 transmission systems to better enable the adoption
4 and the integration of those kinds of technologies
5 into the grid.

6 So that is the sort of technological
7 framework, it's really; we are looking into the
8 projects to be able to describe other technologies
9 being applied. What the costs are and what the
10 benefits are with respect to those technological
11 arenas.

12 So, I'm going to go -- I probably need
13 to hasten this just a little bit. I'm going to
14 show you some examples, some data, you can always
15 get in touch with me later if you want to get into
16 this more. I'm also going to get into, and
17 sharing with you, and look at all the products and
18 reports we are putting out, and a lot of this
19 information will be in those reports. Okay.

20 You can always get back to me if you've
21 got questions, and I'll help you search something
22 if you've got a question, and dig deeper into

1 something, so I'm certainly available to do that
2 anytime. I wanted to share what we are seeing in
3 Sacramento. We have 11, highly vigorous,
4 statistically vigorous Consumer Behavior Studies.
5 These are pricing pilots going on across the
6 country. These studies actually, it's control
7 groups and treatment groups, and randomizations,
8 population sizes, of a sufficient size, so that
9 you can actually get -- you can be sure that you
10 are getting valid results, et cetera.

11 So with respect to SMUD, SMUD just
12 finished their final report. This is going to be
13 available on www.smartgrid.gov, as most of these
14 reports are, I'll get into it a little bit later.
15 And they looked at a pricing pilot which involved
16 time-of-use rates, with a peak price of \$0.27.
17 They've looked at time-of-use rates with the peak
18 price of 27 cents and the critical peak pricing
19 period, where they applied critical peak pricing
20 periods at a rate of 75 cents per kilowatt hour,
21 and they would announce this to their population,
22 to the people that are in the study, 24 hours in

1 advance.

2 And then we are also looking at their
3 flat rate, with just critical peak events; and
4 this study, they spent about \$10 million on this
5 study. It was a two-year study. It's probably,
6 one of the most advanced pricing studies ever done
7 in the United States. The report is very
8 readable. I highly recommend that you take a look
9 at it, and they are finding out obviously -- it's
10 sort of an obvious result, that folks that opted
11 and had volunteered to go into the study, actually
12 had lower peak demands than the folks that were
13 put on the default rate. Okay.

14 But the acceptance rates, the acceptance
15 rates, of those that were on the default rate were
16 much higher, so actually the population of folks
17 that remain in -- that actually participate in the
18 pricing program, is a much greater population as
19 the default rate, rather than a voluntary opt-in
20 rate. And hence the magnitude of the peak demand
21 is much greater, and as a result of the study,
22 SMUD is actually -- SMUD's Board has actually

1 decided to institute a time-of-use rate as a
2 default rate across our service territory in 2018.

3 What's interesting about the SMUD Study
4 is they also looked at cost benefit. Okay. So if
5 you take a look across -- I'm sorry, I should have
6 -- I apologize. If you take a look across the
7 bottom row, they did a pretty extensive cost
8 benefit analysis. You can take a look at this in
9 the study, but they determined that for -- if they
10 deploy a default time-of-use rate with no in-home
11 display provided to the customers, they would see
12 a benefit-to-cost ratio of approximately 4.5.

13 And this includes -- oops -- this
14 includes the cost -- sorry -- this includes the
15 total cost of 15 million of benefit of close to 67
16 million and that benefit of 52 million. And then
17 that benefit is tied to capacity deferrals; that's
18 how they are determining that benefit. And again
19 all of this is in their study. We are seeing that
20 AMI provides a lot of benefit to utilities, a lot
21 of cost reductions, especially in the area of
22 meter -- remote meter readings and remote

1 connectors connect capabilities for utilities are
2 significant savings here.

3 One, utility is saving over
4 approximately 700-K every year, just because if
5 you've got a (inaudible) utility, just because
6 they don't have to send crews out to turn on
7 meters, and also be able to check meter readings,
8 et cetera, and things like that. So, again, we
9 are trying to capture what operational efficiency
10 improvements we are seeing in utilities that are
11 deploying AMI, and you'll also know that meters
12 are also very useful with respect to providing
13 other capabilities to utility.

14 For instance, tamper detection and
15 notification; they are able to provide a utility
16 to that information. They are very effective in
17 terms of outage detection and notification,
18 because utilities now can understand who is on and
19 who is off, and we are seeing much greater
20 efficiency with respect to restoration. And
21 utilities have meters, and they can be used to
22 measure voltage levels along lines, and that data

1 can be used to make voltage management much more
2 efficient.

3 I wanted to share this. Chattanooga,
4 who is really taking smart grid technology to
5 heart, estimated that they are losing about \$100
6 million a year in societal costs because of their
7 -- because of outages, and damages to customers.
8 So, they deployed automated feeder switches and
9 smart meters across the service territory, and
10 they got hit with the windstorm that we got hit
11 with, back in July 5th, which we called the
12 Jericho.

13 And because of that storm 80,000 people
14 went out of power right away, but because they had
15 automated feeder switches, within seconds 40,000
16 of those houses were restored right away. And
17 because of the combination of the smart reader
18 technology -- the automated feeder switching
19 technology with smart meters, they were actually
20 also able to reduce the restoration time
21 significantly.

22 So, if you take a look at what the

1 benefits are, what the benefit streams are there;
2 first of all, there are avoided outage hours to
3 customers, and if you take a look at the green
4 line, is what they actually saw. So you'll see
5 the dotted part of that green line, actually shows
6 that when automated feeder switches did their
7 thing, we went from about 80,000 out to about
8 40,000 out in just a few seconds. Okay.

9 And if you follow that green line; that
10 is the rate at which they were able to restore
11 power to their folks. If you take a look at the
12 blue line, the blue line shows what they expected
13 would have happened with respect to outage with a
14 (inaudible) -- to restoring their populations
15 without the automated feeder switching
16 technologies.

17 And so if you take a look at the
18 calculated delta between the blue line and the
19 green line, that area under the curb basically
20 represents the avoided outage hours. And if we
21 apply value of service estimates to those numbers
22 of hours, those are damaged estimates, typically,

1 that customers see. We can determine what the
2 avoided societal cost does to the community just
3 because they deploy this kind of technology, and
4 we are actually trying to promote and educate
5 folks on the ability to use these customer damaged
6 functions to be able to evaluate their reliability
7 improvements.

8 The other part -- the other benefit
9 stream, is the benefit that the utilities saw,
10 because they were actually able to restore more
11 efficiently, they will reduce truck rolls, they're
12 able to restore a-day-and-a- half in advance, and
13 they were able to save a lot of money on the
14 utilities side with respect to efficiency of
15 restoration outages.

16 We are actually working with Chattanooga
17 right now, to develop a more detailed cost
18 benefit, a case study on this. We are going to
19 apply the value of service estimates to show what
20 the value of that kind of approach is in doing --
21 in supporting reliability planning. And that will
22 become available.

1 We are also working with a number of
2 other utilities in the value of service area, just
3 to determine whether they are interested in
4 applying that kind of approach to better plan
5 their reliability improvements.

6 I wanted to mention this also, because
7 this is another area where we can see significant
8 savings, but where utilities actually are
9 disincentivized to apply this, although utilities
10 are beginning to apply it. We have a number of
11 utilities that are actually applying voltage
12 optimization technologies where they are basically
13 automating their load tap changers and their
14 voltage regulators, and their capacitors, and they
15 are tying that into a control system, and they are
16 actually actively trying to lower and flatten
17 voltage levels along their feeders.

18 And what happens, what happens when you
19 do that, is you actually save a lot of energy, and
20 the utilities that we are working with are trying
21 to do this reduce not only peak demand, it's a
22 very effective method for reducing peak demand. I

1 know for instance that TVA is looking at this,
2 with respect to trying to get their sister --
3 their member distribution companies to lower peak
4 demand during signs of stress, but also it's a
5 very efficient approach to reducing energy. And
6 so it provides a great energy efficiency benefit.

7 So, again we have a lot of studies, a
8 lot of projects that are deploying this
9 technology, we are going report on that. We also
10 have a study ongoing right now, where we are
11 looking really; what is the state-of-the-art with
12 deploying conservation voltage reductions,
13 applying this kind of technology? And what are
14 the institutional hurdles with respect to other
15 utilities we are seeing that prevent them from
16 full-scale deployment?

17 We have some utilities that are actually
18 going in full-scale deployment, but they are
19 disincentivized because of the cost recovery
20 issues, because of revenue recovery issues. And
21 we want to be able to explore that, and be able to
22 educate regulators on what simple energy

1 efficiency policies they might be able to
2 implement, so that we can actually see more
3 efficient electricity delivery operations; and
4 savings to a customer, because customers actually
5 save money, more so than the utility, when we
6 apply this kind of technology.

7 I wanted to lastly, with respect to my
8 examples here, I talk about synchrophasor
9 technologies. The program, the Smart Grid
10 Investment Grant and Demo Programs were incredibly
11 effective again, and synchrophasor technology
12 deployed. And so prior to the start of these
13 programs, they were about 166 network
14 synchrophasors on transmission lines across the
15 country. Now they are going to be over 1,500, and
16 these synchrophasors, as most of you know, are
17 gathering information of voltage in frequency, 30
18 times a second.

19 They are providing that to their
20 operations centers. There is a backbone system
21 for instance in the West, which is a fiber optic
22 system, and the latency from the time that the

1 phasor measurement, you know, sends its signal to
2 the operator, 16 milliseconds. And the bandwidth
3 is there to be able to handle it. Okay.

4 So in deploying this kind of technology
5 we were looking at all of the operational
6 difficulties it took to actually get the
7 technology deployed, number one. Number two, the
8 other goal is to get operators to begin to use the
9 data, and they are using the data in a number of
10 ways. And we are seeing -- they are seeing things
11 that they never saw on the transmission system
12 before, like oscillations and thing like that.

13 And they are actually able to apply the
14 technology in many ways, and we are going to be
15 articulating this with the respect to improving
16 reliability, with respect to improving model
17 validation. So utilities don't have to take,
18 actually have to take generators offline to
19 validate their models; which they had to do every
20 five years in the West.

21 They can keep those generators online,
22 and do model validation, have more precise models

1 to be able to regulate, effectively, those
2 generators. And we also are hoping that we are
3 going to get more efficiency, we are going to get
4 more capacity, more electricity over transmission
5 lines because of applying the technology.

6 We have a case study, we had a
7 rudimentary run, now we are digging in and we are
8 going to get to a much more detailed case study,
9 which we are going to provide -- we are going to
10 issue relatively soon, but it's also about the
11 California-Oregon inter tie. And the capacity of
12 those is about 4,000 megawatts right now. Well we
13 can increase that capacity by 100 megawatts; that
14 may not sound like a lot, but what is that, 2
15 percent, or something like that?

16 We can increase the capacity by 100
17 megawatts just by applying the synchrophasor
18 technology. We can get more electricity across
19 those lines which results in savings of millions
20 of dollars over many years but just by deploying
21 the technology. We have many examples of this,
22 with respect to how synchrophasors are actually

1 improving efficiency, cost savings, et cetera, in
2 the transmission system.

3 Finally, I just want to say that we've
4 been very, very active in not only communicating
5 with stakeholders; we are trying to get the word
6 out. So, from the very onset of this, we've been
7 working very closely with Edison Electric
8 Institute, EPRI, American Public Power
9 Association, NRECA, NARUC, NAESB, the North
10 American Synchrophasor Initiative, we have active
11 dialogue with these folks. We've moved forward in
12 our discussion with a number of these folks.

13 For example, with EPRI, we are working
14 together on pricing studies, and they've got a set
15 of pricing studies, we have a set of pricing
16 studies, we are sharing data. We actually put out
17 a set of guidelines on how to conduct with the
18 rigorous concept of pricing studies, and that was
19 a joint document. With NRECA, in our discussions
20 with NRECA, we moved the ball forward with respect
21 to cyber security practices. They went ahead and
22 developed, you know, cyber security manuals for

1 their people, we've used that kind of information
2 to educate our people.

3 And so these associations have been
4 very, very, very productive, and they've told us
5 what they want to hear from us with respect to
6 what is the value -- what kind of information they
7 want to hear from us, so that we can be more
8 effective in what we provide back.

9 We are also working really closely with
10 IEEE. They reached out to thousands of folks
11 internationally, we are going to use their
12 mechanisms to be able to get our information out,
13 and to be able to support dialogue for people who
14 have real interest in specific topics. To get the
15 community focused on being able to talk about
16 those specific things.

17 We are going to continue to use
18 www.market.gov as basically our library for where
19 we put our products, and so -- but with that we
20 are going to improve research capability into
21 that, so that when you go to the site and you have
22 a question -- you have a certain need or an

1 interest, you'll be able to dig in and find where
2 you might be able to pull that information.

3 We are going to create portals to other
4 websites, so that we will continually be informing
5 others through other websites what information and
6 data we are creating, and we've got a mailing list
7 that goes out to folks whenever we develop a
8 product.

9 We go to many, many conferences, many.
10 And so we go to many IEEE conferences, for
11 instance, and we had a track of six separate
12 sections at the last Innovative Smart Grid
13 Technologies Conference, back in February. We've
14 done the same thing with DistribuTECH, where we've
15 got our recipients, and our recipients are
16 involved with us, you know. Get us off the
17 podium, and get the people that are actually
18 deploying the technology in front of folks and
19 sharing their experiences.

20 We've been able to do that, and so they
21 are going to Town Hall meetings, they've gone to
22 EPRI meetings, we have a big EPRI DOE Meeting

1 coming up in October; and we've gone to the NARUC
2 meetings. Again, we are organizing webinars, and
3 hopefully focus groups from that. We just had a
4 webinar where we shared the results of the
5 Conservation Voltage Reduction Study, I just
6 mentioned. There were 250 folks on the -- at the
7 webinar; that attended the webinar.

8 We are going to do the same thing with
9 our value of service, reliability estimation, we
10 are also going to have an energy storage webinar,
11 those are all set up right now, and ready to go.
12 And then to put all of this together, we've
13 learned a lot, we are at a place where we are
14 looking at pieces of the system, and now we've got
15 a place where, the next step is really to put it
16 all together. It's to put it all together.

17 And those states are working really hard
18 to figure out; what should be the decision-making
19 framework to determine, what kind of optimal
20 system do I actually create? How do I deal with
21 technology issues and change in technology? How
22 do I deal with needing to open up markets? How do

1 I deal with the fact that utilities aren't just
2 delivering electricity anymore; but, you know,
3 consumers and third parties are generating and
4 managing electricity.

5 And to be able to design the advanced
6 distribution system, to be able to do that, is the
7 next area that we are going to be moving -- going
8 to have move into. And we think that we can
9 leverage a lot of the information that we are
10 seeing, into being able to support that kind of
11 dialogue. Okay.

12 So, if you wouldn't mind, what I'd like
13 to do, is just quickly go through this document
14 that actually lists all of our documents, so that
15 -- and I might -- Do I have to do this? We are
16 going to scroll through.

17 MS. MALLOY: I can scroll through.

18 MR. PALADINO: So if you scroll to page
19 2? Yeah. Keep on going. The next page; yeah,
20 yeah; okay.

21 MS. HOFFMAN: Use the mic.

22 CHAIRMAN COWART: Joe, would you use the

1 mic?

2 MR. PALADINO: Is it better if I use the
3 mic. Okay. Sorry. I kind of got excited there.
4 I'm going to quickly go through this
5 documentation, which you all have, that you have
6 electronically; all of the titles in blue are
7 direct links to those documents on
8 www.smartgrid.gov. Those are documents that we've
9 already produced. We also have listed all the
10 documents that are coming out, and we've got dates
11 behind all of those documents. Okay.

12 So, basically, I'm going to first get
13 into the Smart Grid Investment Grant documents,
14 they are program- level documents, and they are
15 more detailed-level documents. And then I'm going
16 to talk about the Smart Grid Demo Program, and
17 those documents.

18 So, if you scroll -- I've got to watch
19 the screen here. If you keep on scrolling,
20 Maureen, and keep on -- okay, so program-level
21 SGIG should be at the top, so take the
22 program-level SGIG document, scroll to the top,

1 right here. Can you scroll that up? We should
2 have done -- practiced this for a little bit.

3 Okay. In terms of program-level
4 documents, we've put out Smart Grid Investment
5 Grant progress reports. We've put out two of
6 those. We have an economic impact of Recovery Act
7 investments, where we actually looked at what the
8 economic impact of the Recovery Act was in the
9 SGIG Program on the economy, and we tried to show
10 -- we tried to show what kind of a multiplier
11 effect we had, and job effect that we had, and
12 that's available.

13 And then we've also put our
14 computational tools so that Utilities can actually
15 download these, and use these to actually do cost
16 benefit analysis. So we actually have the
17 spreadsheet computational tool to do that. We are
18 going to be dividing OMB metrics, because we
19 actually have metrics against our programs. So we
20 are going to be reporting on those, and we are
21 going to have a final report for the Smart Grid
22 Investment Grant Program July 2015.

1 And then finally, for a lot of analysis
2 guidance documents out, these are documents that
3 go to our recipients that get into, how they can
4 do their cost benefit analysis, et cetera.

5 Can you scroll to the next page, please?

6 So, right here, and we can go through this list
7 very quickly, but what I've done on the left, is
8 on the left column going down are all of our --
9 the major documents that we are developing. And
10 what I've done is; I've created a matrix, so that
11 we can map those documents against topical areas.
12 And those are pretty much the topical areas that I
13 mentioned at the beginning in that matrix, the
14 different technology application areas.

15 And so we've got impact reports, the
16 first one, demand reductions from the application
17 advanced metering infrastructure, et cetera. The
18 one at the bottom, application of automated
19 controls for voltage and reactor power management,
20 that's a set of initial reports that we did
21 December 12th, some on regulators, like in
22 Massachusetts, they've actually used these

1 documents in their proceedings, to be able to
2 understand a little bit more about what smart grid
3 technology might provide.

4 If we keep on going, scrolling, just
5 stop -- keep on going, that's fine. You'll see --
6 okay, that's great. Thank you. Thanks, Maureen.
7 You'll see that we've got, up at the top here,
8 we've got -- on the left we've got
9 synchrophasor-related products, if you come down
10 to where the black is, we've got documents on
11 consumer participation and the lessons learned in
12 the smart grid. Smart Grid Investment Improved
13 Utility Storm Responses, a document on that;
14 another document on valuing the electric vehicle
15 charging stations, et cetera; so we've got a lot
16 of documents that are going out.

17 Can you scroll to the next page, please,
18 Maureen? Great. Again, we've got, on the upper
19 left we've got more synchrophasor-related products
20 that are coming out. Some of the key documents
21 here have to do with advance metering
22 infrastructure and customer systems, equipment

1 health monitoring, distribution automation, a
2 final report on synchrophasor deployment. We want
3 to take a look at the operations maintenance
4 benefits of smart grid. We are looking at smart
5 grid software systems, and the integration issues
6 that are dealt with. Okay.

7 Keep on going, Maureen. Thanks. On
8 just the consumer behavior studies I mentioned,
9 we've got a whole program, and in this area we
10 worked very closely with Lawrence Berkley; Chuck
11 Goldman, here, is in the room, if you've got any
12 specifically, difficult questions, you can always
13 Chuck, because he has the answers to all of those.
14 And we've got program-level reports; we've just
15 talked about what consumer behavior studies we are
16 doing. Again, we've got some reports that take a
17 look at the impact we are seeing with respect to
18 time-based rates and enabling technologies.

19 We've got an analysis of customer
20 enrollment patterns and time-based rates, and we
21 are going to be really looking hard at some very
22 specific areas that policymakers are interested

1 in. Experience of consumers, with respect to
2 instituting these and what kind of interfacing was
3 required to be able to interface effectively with
4 customers to get them on-time base rates, to
5 effect enrollment and recruitment participation.

6 Inter-temporal load impacts; how does
7 load actually change from one season to another
8 season. We are going to be looking at impacts on
9 vulnerable populations, like low-income
10 populations, and the elderly populations, really
11 looking at what the impact is there. We are
12 getting a rich amount of data from this consumer
13 behavior studies, and getting into the
14 experimental design.

15 Just trying to describe really the
16 design that we've put together, and if it's
17 applied vigorously, then we think the results can
18 really be a useful and inform us truly on what the
19 impact you can get. In fact, peak load reduction,
20 overall energy reductions, what kind of
21 participation rates, enrollment rates? Of impacts
22 on different kinds of -- on customer types, we

1 want to be able to get a handle on all of that.

2 If you go to the next; again, we've put
3 guidance documents out on this. Let's scroll,
4 Maureen, just to the next -- yeah, right here.
5 Each of the utilities that are working in the
6 consumer behavior studies space had to develop an
7 interim report and a formal report. And these,
8 again, are on www.smartgrid.gov. Okay. And the
9 SMUD Report is not up there. We just got the SMUD
10 Report, but that is, again, I highly recommend
11 that you take a look at the SMUD Report, because
12 it hits everything, and it's really well
13 documented. Keep on going?

14 Keep on scrolling, Maureen; keep on
15 scrolling, keep on scrolling, keep on going, keep
16 on going. Okay, well, right there. We've got
17 many -- we've got top of the reports that we are
18 working on. So we've got a report on dynamic line
19 rating systems. We've got actual results, it's a
20 great report. It talks about applying dynamic
21 line rating technologies on transmission systems.
22 What the costs are, what the capabilities of those

1 technologies are. Okay.

2 Again, this conservation voltage
3 reduction report is probably going to come out in
4 October timeframe. We are looking at transacted
5 energy communication systems, distribute energy
6 resources integration -- sorry for the spelling --
7 micro grids, these are very, very specific --
8 thank you -- these are very, very specific,
9 topical reports that are being created to provide
10 background, and again, it's the results that we
11 are getting from the demonstration projects.

12 Keep on -- Maureen, we are almost done.
13 I'm sorry for taking up all your time. We've got
14 very, very targeted reports that came from NRECA,
15 these are really worth looking up. Keep on going.
16 We've got -- each of the -- the Demo Program was a
17 little bit different than the Smart Grid
18 Investment Grant Program, and the Demo Program,
19 and I'll probably do this next time, if you
20 weren't going to do it, we actually had each of
21 the recipients develop their own interim and final
22 reports.

1 And so take a look at what their
2 objectives were, what the performance of the
3 technology was, and what kind of results we are
4 seeing, not only in terms of technical
5 feasibility, but also a cost benefit, financial,
6 economic feasibility. So these reports are
7 supposed to address that in detail, and we gave
8 them guidance to do that. And so, we've got,
9 again, the reports in -- everything in blue is
10 available on the website, and if you actually take
11 your document on your computer, you can click on
12 these, and you can actually go to the information
13 for each of these. Okay. And so you're seeing
14 that we've got interim technology performance
15 reports as well as final technology reports.

16 Keep on going, Maureen. We are almost
17 done. And I'm just scrolling through -- and I'm
18 just scrolling through all of the projects right
19 now, and then to hear -- so the projects you just
20 saw were the demo projects. The projects we are
21 looking at now are the energy storage projects,
22 and again, for them, we asked them to develop

1 interim and final technology performance reports,
2 so they are actually trying to do the same thing.

3 And so, if you keep on scrolling,
4 Maureen, to where it says, Case Studies, and that
5 will be the last thing we get to. We've got 30 or
6 so -- well, can you scroll just a tiny bit, so I
7 can get the topical areas across there -- well
8 enough. Great, great!

9 So largely what we try to do, is try to
10 map, again, these case studies which are developed
11 on the website, we are also developing more, and
12 we try to map them against specific topics. Okay.
13 And, Maureen if you just scroll down to the end,
14 you'll see; you'll get a sense of all the
15 different case studies that we are developing. We
16 work very closely with the recipients to generate
17 all of this information. Okay.

18 Everything we put out is reviewed by a
19 recipient before we put it out. We will not put
20 out anything until a recipient says, I'm okay with
21 that. Because we want to be accurate, we want to
22 be precise.

1 So those are all the case studies that
2 have been developed, and are being planned. And
3 with that, I think I should stop. I've taken a
4 lot of time, and I apologize for that, but I
5 guess, if you have any questions.

6 CHAIRMAN COWART: All right, thanks very
7 much. Yeah, I mean, we open the floor to
8 questions, and as our usual practice, put up you
9 tin card. We'll try to call on people in the
10 order I see the cards; and put it down when you
11 are done so -- and sometimes we have to remind
12 people. All right, thanks. I think, Carl?

13 MR. ZICHELLA: Yes. Just a quick
14 question, on the time-of-use analysis says, any
15 analysis been done on greenhouse gas emissions
16 benefits of time of use?

17 MR. PALADINO: So, part of what we are
18 trying to do, is map peak demand reduction, and
19 over reduction to those -- to emissions
20 reductions. So, we should be able to map against
21 that. Okay. So, I don't know what those numbers
22 are now, and we might -- we'll just have to take a

1 look, but we can extrapolate to get those numbers.

2 MR. ZICHELLA: When you say emissions
3 reductions, are you talking about criteria,
4 pollutants and greenhouse gases, or?

5 MR. PALADINO: Yeah. We were at --
6 originally, and we are going to have to go back to
7 see if we can actually do what you are asking.
8 Certainly carbon dioxide, but we'll hear NOXs and
9 SOXs, and things like that too.

10 CHAIRMAN COWART: Paul?

11 MR. HUDSON: Joe, thanks. Appreciate
12 the presentation. So, understanding that there's
13 some natural desire to find positive nuggets out
14 of a sunk investment, I'm wondering if there were
15 any places where you, in looking broadly across
16 all of the various grants, and demonstration
17 grants, felt that the juice just wasn't really
18 worth the squeeze. There were places it just
19 didn't make sense to do these types of investments
20 or programmatic activity?

21 MR. PALADINO: That's a really good
22 question. I don't a good answer to that because a

1 lot of -- first of all utilities were coming from
2 different levels of expertise. Number two, I
3 think we were able to go down this road, we were
4 probably -- because the Recovery Act came out
5 quickly, and people wanted to take advantage of
6 those dollars, I think a lot of the utilities
7 probably got approvals from before -- before the
8 real cost benefit, the hard cost benefit analysis
9 was done in some cases. Right?

10 But I will say this. I will say this, I
11 think the benefits keep on accruing over time,
12 because I think that the utilities have to really
13 understand how to apply the technology as well as
14 determine how to best improve their operations to
15 utilize all the data coming out of the projects.
16 So I think it's going to actually take time. And
17 I'm not trying to -- I'm not trying to sidestep
18 your question, okay. But I think it's -- it's
19 actually going to -- but this is important sort of
20 background, contextual information, I --

21 MR. HUDSON: Actually you could say
22 there's value in a bad result too, right?

1 MR. PALADINO: Excuse me?

2 MR. HUDSON: I said, there's value in a
3 bad result too, I mean, that's a lesson learned as
4 well, so.

5 MR. PALADINO: Yeah. I mean, I -- it's
6 hard for me -- I'm not sure if we, though, we look
7 at it in terms of it's all been progressive. It's
8 all been useful; we see many, many benefits. Do
9 the benefits actually meet the level of cost? I'm
10 not sure. Okay. In some cases they really do, in
11 other cases they don't, but there are lots of
12 intangibles, right, that had to be added to that;
13 that work.

14 And I think it's going to take a while,
15 again, for utilities to really fine-tune their
16 operations. I mean, you've got people that now --
17 field operators now, have iPads, and now instead
18 of having, and just get tasks sent from
19 headquarters to tell them where to go next, now
20 they are able to communicate in the field, and
21 their operations are becoming much more efficient.
22 That's not -- that's not a benefit stream that we

1 are really able to capture that well.

2 People are actually improving their
3 customer service operations. That's not a benefit
4 stream that we are able to actually able to
5 capture that well, right; in any of this. So, I
6 think we are seeing that utilities are -- over
7 time, are going to learn how to reengineer their
8 business processes to really take advantage of
9 what they are getting out of the smart grid
10 technology. I don't know if --

11 MS. HOFFMAN: Paul, can I answer your --
12 this is Pat. Can I answer your question a little
13 bit differently? Some of the things that were
14 lessons learned as we rolled it out -- rolled out
15 the Smart Grid Investment Grant Program, was
16 lessons learned around the functionality of the
17 meters. You know, the meters are basically a
18 measurement device, and I would say that there was
19 a push that it would be the center of the universe
20 with respect to all control and functionality at
21 the customer side.

22 And some of that were really hard

1 lessons learned on two-way communications and
2 functionality, of how much functionality should be
3 rolled out and at what time, from that
4 perspective. The other lesson learned, which I
5 think was a valuable lesson learned, but I wish we
6 could have done more, which was pushing cyber
7 security and the integration of cyber security as
8 we move forward.

9 I think that the Investment Grant and
10 the recipients did a great job of doing cyber
11 security plans, but a little bit of timing, you
12 know, in getting up to speed on the breadth and
13 depth of cyber security issues, and how we
14 probably could have taken advantage of that a
15 little bit more.

16 CHAIRMAN COWART: Thank you. Jeff?

17 MR. MORRIS: I just have two questions I
18 might kind of ask together. I notice that there
19 wasn't a lot of outreach to some of the state
20 legislative groups who, you know, most of the
21 states, you know, utility regulations is a
22 delegated legislative authority, and in some

1 states the legislators are still the regulators of
2 public power who they created. One of the tools
3 that seem to be missing is kind of a set of
4 monetized values, of which to start looking at
5 some of these other value chains, that aren't
6 reflected in how much you -- power you purchase.

7 And I'm just wondering if -- you know,
8 if that type of tool is in the works for some of
9 these studies or not? And then secondly, when you
10 start valuing things separate from the delivery of
11 power, there's all sorts of tax law implications
12 with that on the ground, too. And I'm wondering
13 if that's something, if you are looking at, you
14 know, monetizing some of these value streams
15 differently; whether someone is going to look at
16 the tax implications both at the federal and state
17 level?

18 MR. PALADINO: You know, thanks for
19 that. We haven't thought about the tax
20 implications, but I'm writing it down, and we
21 should probably look at that. And then the
22 different structures of the utilities, you know,

1 whether IOU, versus municipal, et cetera, I guess
2 gets into that. In terms of monetizing values,
3 where we have, I think, where we are trying to
4 really do that is in the area of weighting certain
5 societal costs, because of reliability
6 improvements.

7 We would like to do the value of service
8 estimate approach, be able to actually put a
9 monetary value and avoid the societal cost,
10 because it actually will -- reliability and
11 improvements, reduced costs from outages, et
12 cetera. And I think what we are going to do, and
13 what will be really useful is, and this is
14 hopefully is -- in our final report, I think we
15 are going to have to address what you're talking
16 about.

17 That we need to take a look at what are
18 the costs are for these different technological
19 systems, these applications, and what kind of
20 benefit streams are we getting? And how can we
21 actually monetize those benefit streams; and we
22 set a quantitative benefit streams, as well as

1 qualitative benefit streams.

2 And then again, we tried not to dig
3 deeply into a specific utilities cost benefit
4 situation, because we wanted to (a) respect
5 utilities relationship with their public utility
6 commission, and it would be very difficult,
7 secondly, for us to actually get into all the
8 details of the utility we get into. Cost of
9 capital and all of those things, so we could just
10 never -- so we are going to have to do it at a
11 higher level.

12 CHAIRMAN COWART: Chris?

13 MR. SHELTON: Thank you for the
14 presentation. It's a wide-ranging set of items
15 with many different facets, so I appreciate the
16 work to consolidate all of it. Chris Shelton,
17 AES. In terms of the cost benefit, I think it's
18 subtle, and perhaps you've already addressed it,
19 but I want to make sure if you look at,
20 particularly on the demonstration projects, but I
21 would say, perhaps, on some of the other projects
22 as well.

1 It will be six years from the time that
2 the applications were written to when the final
3 reports are written on most of those. I saw 2015.
4 The cost of, I believe, Solar PV costs, not saying
5 it's part of this.

6 MR. PALADINO: Oh, yeah, true.

7 MR. SHELTON: But just to give you
8 technology cost difference, it's about 80 percent
9 reduction in cost over that period, maybe more.
10 Battery, you know, in our experience at AES,
11 battery costs have declined 60 percent over that
12 time, so it -- however the report is written, even
13 directly in each report, or in a meta report, it
14 would be helpful to do cost benefit using today's
15 cost, and the cost in 2009.

16 MR. PALADINO: Mm-hmm. Okay.

17 MR. SHELTON: Because the whole point of
18 the program was to accelerate and advance things,
19 and I would say you could claim that as a benefit
20 of the program. If you think you were a part of
21 helping the price decline in some way, then that's
22 a benefit of the whole program that that cost

1 declined. So, anyway, I just wanted to highlight
2 that.

3 MR. PALADINO: Thanks for that. I
4 appreciate that.

5 CHAIRMAN COWART: All right, we'll take
6 one last question. Audrey?

7 MS. ZIBELMAN: Just on the benefit. So,
8 really like at Chattanooga, looking at the cost of
9 the service, I guess what -- it's the cost of
10 non-service.

11 MR. PALADINO: Yes. Yes.

12 MS. ZIBELMAN: But are you -- when you
13 looked at it, and maybe this will be in the next
14 study, do you look at it as sort of how, if those
15 costs are sort of linear or nonlinear? I mean we
16 have, for example, customers who lose a ton of
17 money, if it's a one-minute outage. Right?

18 MR. PALADINO: Yeah. Yeah.

19 MS. ZIBELMAN: Versus customers -- who
20 is out -- whose costs may go up.

21 MR. PALADINO: Right.

22 MS. ZIBELMAN: Depending on the

1 duration.

2 MR. PALADINO: Right.

3 MS. ZIBELMAN: I think for us, you know,
4 if we are looking at this, I think it would be
5 valuable to figure out a way to group it.

6 MR. PALADINO: Right.

7 MS. ZIBELMAN: So that we could start
8 setting metrics then around what would be the
9 ideal situation.

10 MR. PALADINO: Right. No. Thanks for
11 that question. The study that was done in 2009
12 took a look at utility surveys of their customers.
13 They looked at zero to eight hour time-scales, and
14 it's not linear, okay. It's not linear. Where
15 we've got a couple of other surveys, then we've
16 got them to update that information, we were also
17 doing is we are trying to develop cost for high
18 impact events.

19 The issue with value of service costs,
20 is it really -- they need to be done in the
21 region, and with a customer segments, and to be
22 able to accurately get the cost for that specific

1 region or territory. And that's where we --
2 that's what we are really interested to see
3 whether folks are really interested in pursuing
4 that. Thanks for that comment. I appreciate
5 that.

6 CHAIRMAN COWART: Joe, thank you very
7 much.

8 MR. PALADINO: You're welcome.

9 CHAIRMAN COWART: There's obviously a
10 lot here. I've made a million notes, and now I've
11 got some reading ahead of me.

12 MR. PALADINO: So do we. Thank you very
13 much. Appreciate it.

14 CHAIRMAN COWART: I'm told that some of
15 the speakers on the upcoming Panel, have some time
16 constraints in terms of getting to the airport, so
17 I think we are going to have to eliminate the
18 group break right now, and just move right into
19 the Panel. Can we do that? And people who need
20 to leave the room for a moment, feel free to do
21 so. But we are going to just get going with the
22 Panel.

1 (Pause to set up panel)

2 MR. CENTOLELLA: Our fourth speaker, who
3 I know is here, will be back with us momentarily.
4 So let me get started by introducing the Panel.
5 Here we go. We have a tremendous Panel to talk
6 about this topic here this afternoon, and I
7 couldn't be more pleased with everyone that we
8 have. So this panel precedes the discussion that
9 we will have on a paper -- after the panel,
10 addressing the question of DOE's development of
11 information and tools to support the consideration
12 of alternative and regulatory models, and this
13 Panel introduces that topic.

14 We are very fortunate with the people
15 that we have, beginning with a new member of the
16 EAC, Audrey Zibelman. Audrey is the Chair of the
17 New York Public Service Commission as well as the
18 Chair of the Siting Board there, and a member of,
19 I think, it's five other Boards in New York State
20 and the region.

21 She is, as she introduced herself this
22 morning, the Former CEO of Viridity, the Former

1 CEO of PJM, and as you heard, has a long history
2 in this industry. But more importantly for this
3 discussion, her Commission has also initiated a
4 proceeding that is being widely watched around the
5 country on reforming the energy vision, which is
6 proposing some significant changes in both utility
7 business and regulatory models. And she will talk
8 with us about that.

9 Secondly, we have Kris Mayes. Kris is a
10 Professor at Arizona State University in the
11 Sandra Day O'Connor College of Law. She is also a
12 Former Regulator in Arizona, a Former Chair of the
13 Arizona Corporation Commission. She is also the
14 Founding Faculty Director of Program of Law and
15 Sustainability at Arizona State.

16 Third, we have Anne Pramaggiore. Anne
17 is the Chief Executive Officer and President
18 Commonwealth Edison, one of the nation's largest
19 electric distribution utilities. She joined
20 Commonwealth Edison in 1998 as a Lead Lawyer for
21 Regulatory Policy. Was appointed COO in 2009, and
22 became CEO of Electric Utility in 2012. She is

1 also a Board Member of the Chicago Federal
2 Reserve, and the Motorola Solutions, among other
3 organizations.

4 And her company is very interesting
5 because it is in the midst of both deploying grid
6 modernization, and of implementing an Act passed
7 by the Illinois Legislator, that created a formula
8 rate mechanism and certain performance incentives
9 for doing grid modernization.

10 And finally, we have someone, who, if
11 you don't know you certainly should know in terms
12 of his work at DOE, and that's Chuck Goldman.
13 Chuck is the Principal Investigator and Senior
14 Scientist at Lawrence Berkeley National Lab, who
15 has been around these issues now for 30 years, and
16 will offer some perspectives on many of the things
17 that DOE is doing related to new utility and
18 regulatory models.

19 So with that, let's have Audrey kick it
20 off. Audrey, please feel free to either come up
21 here, or speak from your seat, wherever you feel
22 comfortable.

1 MS. ZIBELMAN: -- there, I'll sit here.
2 So I'm not very good at using slides, I tend to do
3 this extemporaneously. So let me -- just a couple
4 things. One is, that this was helpful, because
5 it's a good summary, in terms of what we are
6 expecting the distribution utility of the future
7 to be, and what we are looking at.

8 And it really is as much as all the
9 things that you see there, but ultimately, I think
10 the best summary that we are looking at is, it's
11 when you think about, traditionally, the
12 obligation to serve, because really the obligation
13 to provide service to the meter, in a reliable,
14 resilient cost-effective way. We are now saying
15 fundamentally, the obligation to serve really is
16 taking resources that sit behind the meter, and
17 optimizing the system using those resources.

18 To gain all the other things that you've
19 always wanted to do, but also now very much
20 focused on system efficiency as well as enabling
21 competition. So it really fundamentally makes you
22 rethink the distribution utility; and thinking

1 about the distribution utility, not as just a
2 wireless company, but really a platform provider.
3 That is really, then, the host of all the other
4 antecedent benefits that you want to get back to
5 consumers, and to drive a much a much more
6 efficient grid.

7 So, the question is, it's now what
8 prompted us? And we started this proceeding
9 really last December, and it was predicated on a
10 number of observations. A lot of these things
11 that I've identified, I think everybody sort of
12 knows. In the New York style, one of the things
13 that we are looking at, is we spent about 17
14 million on infrastructure over the last 10 years,
15 over the next 10 years, we anticipate 17 billion
16 -- another 30 billion that we would need to spend.

17 This is on top of a slowing or declining
18 load growth, on top of a deteriorating load factor
19 because of the electrification of the industry.
20 And on top of having clean energy requirements,
21 which themselves have a certain cost to the
22 system, on top of being the fact that we are one

1 of the second or third highest priced energy
2 regions in the country, which is not a place we
3 want to be.

4 We also have increased requirements on
5 the system from consumers for -- and that's why I
6 prompted the question about having not just 99
7 percent uptime, but a 100 percent uptime, power
8 quality, those types of things. Plus, technology
9 that's really moving towards more driving down the
10 cost of distributed energy technology, lots of
11 opportunity, I think, to create great companies
12 around smart grid type technologies, and a desire,
13 really, to optimize how we can use them.

14 You know, just as a very quick example,
15 I sort of tell folks, you know, in New York City
16 all large buildings more than 20 storeys, of which
17 there are a lot, are required to have backup
18 generation for elevators and all sorts of other
19 safety devices. Why aren't we using those? And
20 it's a terrific opportunity for us to use these
21 types of resources that today are being
22 underutilized on the system. And the goal we have

1 is to really think about how do we maximize the
2 value of the capital the consumers put into
3 energy?

4 Whether it's energy that they need for
5 backup resources or buying energy from the grid,
6 and really our goal is to say, we want to make the
7 most efficient use of those dollars to both drive
8 a much more resilient grid, but also to really
9 help us on the total bill perspective. So, those
10 are kind of, I can now pass through these.

11 The other thing that staff identified
12 is, you know, what is the cost of inefficiency?
13 So for us, we looked at, you know, if you just
14 worked -- our systems average about 55 percent
15 capacity factor, load factor, which is not
16 atypical. If we improve that by 1 percent, that
17 saves consumers between 150 to 250 million a year.
18 If we drop the top 100 hours, if we flatten that
19 out, based on prices, and this is recent prices,
20 we could look at savings in the order of 1.2 to
21 1.7 billion a year.

22 So those are not just the value of the

1 cost of, you know, not having service, this is
2 purely the cost of running an inefficient system,
3 and not taking advantages of technologies that
4 could be there. The other piece that we look at,
5 as I mentioned, is the amount of companies that
6 are just sitting there, they are waiting for a
7 market to go into, the amount of capital we can
8 automate, as well as the costs that are going
9 down.

10 So, we are seeing that as just a huge
11 opportunity just sitting there on the side market
12 ready to go in. And the way I like to think about
13 it, is that we have these opportunities where
14 people are buying things voluntarily, such as home
15 security devices, smart thermostats, which are
16 probably not going to get their maximum value
17 unless we have the price signal down at the
18 distribution level. For people to actually see
19 how that could drive value.

20 That is not because we expect people to
21 go out and buy energy efficiency, what we are
22 trying to create by this new and revisioning of

1 the system, is actually consumers being the pull
2 factor. A consumer say, I went to my neighbor's
3 house, they had a really cool thermostat, I want
4 that cool thermostat, and as soon as they plug it
5 in, they immediately tie it into a DR Program that
6 allows the utility to start using those, because
7 they clicked a button and said; sure, I'll save
8 \$10 a month on my bill.

9 That's not why I bought the thermostat,
10 but now we start thinking about how do we get that
11 tipping point from consumer behavior? And so in
12 terms of timing, so that's all there, let me just
13 then tell you quickly just walking through what we
14 are doing. What we've -- staff has come through
15 with a couple white papers that we have identified
16 how we are moving forward.

17 The first is the model -- it's that we
18 need both -- we need to have integrated resource
19 planning at the distribution level. We need to
20 start really rethinking not just how you plan the
21 grid to meet what you anticipate in terms of load
22 growth, but how you can accommodate these

1 distributed resources, but having a very
2 transparent process so that consumers actually
3 know what the needs are, and you start creating
4 that opportunity.

5 The other piece is, and this is a big
6 piece that I think I'd love to talk more about,
7 and I think I will be on future meetings, is
8 system development. And it's a discussion that
9 actually, we've started to have about how do you
10 break the network system, and it's where, I think,
11 DOE can play, as we've spent a lot of time
12 thinking about the architecture of the future
13 system, what kind of standards we are going to
14 need around interoperability.

15 If, you know, we want to create a very
16 deep and liquid market, we want to make sure that
17 the market is robust and will continue to grow and
18 it's flexible. And I think the more that one area
19 that we really could -- we could use some help on,
20 is really thinking about what is this architecture
21 of the communication system, layered on top of a
22 distribution utility, really need to look, but

1 really, you know, beyond AMI.

2 The other piece is operational
3 efficiency, is really thinking about how the
4 utilities, what kind of DR Tariffs would need to
5 be put in place. For example, at the local level,
6 we don't think about it a lot, but distribution
7 utilities by reactive power from the grid. I
8 think they should buy reactive power locally, it's
9 going to be a lot more efficient. So how do we
10 create tariffs and markets to send the signals so
11 that we can really start now monetizing these
12 resources in a way that is actually good for
13 everybody?

14 And then the other piece is both the
15 products and services, but data analytics. You
16 know, I see there's going to be huge opportunity
17 at the -- actually at breakfast today and the
18 question came up -- hi, Steve -- as to where we
19 see this, sort of, integration of big data
20 analytics, technology companies and the electric
21 grid, around the kind of analytics that you could
22 start providing.

1 And if you start doing that, and there's
2 an opportunity to monetize that, then you start
3 thinking about the distribution utility. Like we
4 used to think about the telephone company, that
5 they could start unbundling services and third
6 parties might buy them; and if the payment for
7 these of analytics and data services can be used
8 to offset the cost of building up the systems to
9 enable this really two-way flow of information.

10 So a lot of what we are thinking about
11 is just how do you develop that market, what
12 products should be there in moving forward; and
13 all of this is sort of in -- what we'll be doing
14 is really unfolding it. So then, the other piece
15 of this, which is really how we had started on the
16 discussion; is why aren't utilities doing this in
17 the first instance? I mean, and what are the
18 challenges?

19 One of which is, what we've said is the
20 regulatory model; there's nothing in it for them.
21 I mean even though New York has gone to
22 forward-looking test year, we've unbundled. We

1 have revenue decoupling mechanisms, all of that's
2 in place, but all that means is that we've
3 neutralized utilities, the utilities can earn a 9
4 percent return in New York with a fair degree of
5 confidence that they are going to get there.
6 That's a positive thing, but to earn 10 percent,
7 11 percent, to get excited; in fact, if they are
8 helping reduce the price to consumer there's no
9 mechanism for them to really get there.

10 And so the issue is, it's how do we
11 align what we are doing about regulation with what
12 we want the utility to think about in terms of
13 driving a system efficiency and driving prices
14 down? So one of the things that we are doing is
15 we are saying well, one is we need to move to a
16 more of a performance-based, outcomes-based
17 regulation, thinking about system efficiency is
18 one of the objectives. Thinking about improving
19 energy efficiency is one of the objectives;
20 driving innovation is one of the objectives.

21 So we are looking at the model in
22 England, the REIIO Model, and if you asked me what

1 it stands for, I know it's Revenue Equals
2 Innovation, Incentives and Outcome; which is good,
3 I've said it enough now that it's in the head. As
4 well as other earning opportunities that we might
5 want to drive out of the system so that there's an
6 upside that's not necessarily a regulated upside,
7 that other competitors can come in and offer, but
8 that utilities can offer as well.

9 The other piece is really thinking about
10 information transparency, really driving in terms
11 of where you might availability for resources,
12 price transparency, things like that. And then,
13 lastly, is both identification, and elimination of
14 barriers to entry. So one of the things that, you
15 know, I think about from my experience at PJM is
16 that, you know, utilities forever, before we
17 really got into markets, it was very difficult to
18 interconnect if you are an IPP, it took forever.

19 There were all sorts of concerns. You
20 had to line up. The queues were really long.
21 FERC had to intervene. We moved into a market and
22 there's a whole different continuum, there's a

1 whole different motivation. So at the
2 distribution level, things like standby rates, if
3 you would think about it; if we changed the
4 utility mindset and we say, wait a minute, your
5 goal is to drive innovation, to create this
6 network, and knowing that the network itself is
7 going to help you get to your goals, then things
8 like standby rates, or smart utility would say;
9 why would I want to hold somebody up?

10 I mean, I get more money the more things
11 I have hanging off my system, and the analogy I
12 use; Apple doesn't say I'm going to make it really
13 hard for you to put an app on my system. And so
14 what we need to be looking at is whether these
15 barriers to entry, and then thinking about the --
16 both on an incentive basis, but also take a look
17 at what rules we have in place that inadvertently
18 have created these barriers.

19 So it's, those types of things will be
20 the next step, so our process, as to where we are
21 in all of this, we thought -- staff has come up
22 with a straw man proposal, in terms of, what is

1 the role of the distribution system provider? You
2 know, what do we need in terms of architecture for
3 the system, those types of things. We received
4 comments on those yesterday. A lot of issues
5 around vertical integration, a challenge for us to
6 think about because we've restructured in New
7 York, is that utilities in New York do not own
8 generation.

9 But if you are asking a utility like
10 ConEd to put in a distributed energy resource in
11 lieu of building a substation, what kind of
12 relationship do they need to have with resource,
13 because it's required for reliability. And so
14 those were the types of things that we are getting
15 comments on, and as you can imagine, people bear a
16 lot of different opinions about that.

17 We are also coming out with a straw dog
18 on this new regulatory model, moving to an
19 outcome-based model. Looking at what is called
20 the TOE text, but really looking at total revenue
21 requirements, operating as not just capital, as a
22 basis on earnings components so that utilities

1 aren't just driven by putting in more capital, but
2 really looking at a total revenue requirement
3 element.

4 And that will be out, most likely in
5 January, with the idea we'll get comments back on
6 that, towards the -- sometime in early 2015, with
7 the objective, is then, after that, our utilities
8 will be filing initial rate plans that reflect
9 some of the things that we've discussed.

10 So it's ambitious. And I'll tell you,
11 from our perspective, and a lot of this is around
12 driving markets, driving innovation, driving
13 prices. But having gone through Sandy, it created
14 a fundamental understanding throughout New York,
15 of the need to looking at resiliency, and the need
16 to take a look at distributed resources. So it's
17 a -- and oftentimes, you know, it takes something
18 like that to really get people to wake up, but I
19 had an opportunity to sit through some New York
20 Rises events, that the Governor holds.

21 But then what New York did, is they put
22 out grants for local communities to say; how do

1 they want to build up after Sandy. And I would
2 say 80 percent of these communities, and this was
3 all just sort of driven by people upward, came
4 back in and said they wanted to do micro grids,
5 they wanted to do smart grids. They wanted to
6 have local distributive resources, so what's
7 happened is, is that there's just heightened
8 recognition, that things can be different and with
9 that, we expect, and we are seeing a lot of
10 receptivity throughout the state that changing
11 from business as usual makes a lot of sense.

12 So you know, we are, obviously are going
13 to take advantage of that momentum, get things
14 going, and we are -- you know, my expectation is
15 actually during my term, we'll skip these rate
16 plans in place. And what we realize is that this
17 is going to be a transition, but that it is
18 absolutely, the time to start is now.

19 MR. CENTOLELLA: Thank you, Audrey. We
20 are -- I'm going to ask people to hold questions
21 at this point, you know, and try to take some
22 notes and remember them, and we'll take questions

1 at the end of the -- of all the presentations.

2 So, turning now to Kris Mayes, if we can get Kris'
3 presentation up on the screen?

4 MS. MAYES: Oh, thank you. Well, thank
5 you so much, Paul. And thank you for inviting me
6 to come to speak to you, and to DOE, and it's so
7 great to see so many good friends. And I think
8 I'm here to be the representative of the Wild,
9 Wild West, so I will do my best, although I see my
10 friend Commissioner Wagner here too, and my friend
11 Carl Zichella, so you can help me.

12 But I was really interested in what
13 Commissioner Zibelman was saying about the genesis
14 of what you did, and I find it both interesting
15 and fascinating and a little depressing, because
16 we are obviously, thank God, are not going to have
17 a lot of Sandys, but we had our own war out in
18 Arizona, that I think should serve as a political
19 war, and I'm going to talk a little bit about this
20 as an example of why we, too, need to follow your
21 leadership, and follow suit. And many states need
22 to follow suit, and beginning to think about what

1 the utility of the future is going to look like,
2 and start opening dockets.

3 And some states have, but not enough
4 have, and I do think that the way this is going to
5 develop, is we are going to watch states like New
6 York do, what they are going to do, and I think
7 they will succeed. And then other states will
8 come along, we are seeing some baby steps taken in
9 other states, in Illinois, with what Anne is doing
10 there, and some steps in Hawaii. And so it's
11 going to progress, probably too slowly, but just
12 real quickly again, and I wanted to talk about
13 some of the policies.

14 You all know this, because you have all
15 helped to facilitate in one way or another, some
16 of these policies, but the policies that are
17 driving these pressures on utilities, obviously we
18 have the ITC there's some uncertainty around that
19 ending, hopefully not, but potentially ending in
20 2016. There's net metering in most states like
21 mine, and some states like mine, very aggressive
22 net metering policy allowing many Arizonians to go

1 solar. That's obviously our RPSs like mine that
2 have solar and DG carve outs.

3 And net metering is facing a number of
4 threats by a number of utilities right now. And
5 then of course there's energy efficiency resource
6 standards, some of which are very aggressive, like
7 mine, we having, probably the nation's most
8 ambitious EE standard at 22 percent by 2020, and
9 those other policies. Some of the things we have
10 coming up, as you all know, that I think are going
11 to continue to drive energy efficiency and
12 renewables in a way that may threaten some
13 utilities, may actually help some utilities deal
14 with the EPA Policy, the EE carbon pollution
15 standards.

16 We have value of solar dockets coming
17 up. We have utility of the future dockets, and
18 then of course, rate design proceedings going on
19 across the country where some of these issues of,
20 you know, the various perceived threats to the
21 utilities bottom line will be addressed.

22 Just to give you a sense of -- so some

1 of you have seen this, this is an IREC slide
2 showing the incredible expansion of solar
3 nationally, from 2003 when I first started as a
4 Commissioner, and when many of us in the West were
5 adopting these policies and, man, have they been
6 successful.

7 To the point where we are now doing, you
8 know, we are topping 100,000 distributed solar
9 systems a year in America. And just to give you a
10 sense real quickly of some of the utilities that
11 are facing the highest levels of DG penetration,
12 obviously, Hawaii, HECO and a lot of the Hawaiian
13 entities are facing the greatest pressures. But
14 also SDG&E, and Arizona Public Service, each of
15 which are facing 2 percent penetration; which in
16 my mind is still not huge.

17 I don't think it's something really to
18 cry wolf about yet, and I don't think that it's
19 something that we should consider to be the onset
20 of the death spiral, if that's what we want to
21 call it. But in tandem with energy efficiency,
22 what you are starting to hear is a lot of

1 utilities get, and I would be interested in
2 hearing Anne's comments on this. A lot of
3 utilities get consistent questions on their
4 earnings calls from Wall Street on this.

5 So if you listen to APS's earnings
6 calls, every single time, somebody from UBS, or
7 one of these other, you know, firms, is asking
8 them, what about your energy efficiency
9 penetration; and what about solar? And what are
10 you doing to tamp down on it?

11 And so that is putting pressure on them.
12 The only thing that's putting pressure on
13 utilities, it's people want it. This is one -- I
14 love this slide because it shows you -- I don't
15 know if you can read it, but it shows you the
16 places in Arizona where we are seeing the highest
17 penetration of roof top solar. Sun City, West
18 Arizona; Sun City, I'm sure some of you have been
19 to Sun City. The oldest place in terms of age,
20 and the most conservative place in Arizona, is
21 where most -- the most people are installing
22 solar.

1 So this notion that solar is this sort
2 of liberal tree-hugging bastion has to be put to
3 rest. It's not. Older people, retired people,
4 conservative people, love talking to each other
5 about how much they are net metering and getting
6 off of their utility systems; and so that is an
7 interesting, social, sociological development.
8 And this is a large part to the efforts of many of
9 you in this room, at DOE, and through the Sun Shot
10 Initiative, as the price of solar has come down,
11 we've been able to lower upfront incentives, and
12 yet solar has continued to rise.

13 So this is an amazing phenomenon, and
14 again, kudos to the people in this room for
15 helping to make that happen. And this is a slide
16 from Pinnacle West, APS's parent company's
17 earnings call presentation recently. You can see
18 that they are focused, obviously, on a lot of
19 depression of their revenues from energy
20 efficiency, and a little bit from solar, but not
21 as much as you would think. A lot from energy
22 efficiency; and they are talking about it with

1 their investors.

2 So what happened in Arizona, and what
3 should be the -- I think the warning shot across
4 the bough, and maybe I just hope my pitch would be
5 to you to continue focusing on this issued because
6 it's so necessary, so we can avoid what happened
7 in Arizona. We had an all out political brawl
8 develop in Arizona over net metering, and there
9 was a proposal put forward by APS, to assess a 50
10 to \$100 charge on anybody who put solar on their
11 roof tops, which will essentially destroy the
12 value of that solar system, and make it come --
13 destroy solar in Arizona, obviously, the sunniest
14 place in the country.

15 And we had people like Barry Goldwater,
16 Jr., jump into the fray on behalf of solar,
17 advocating against the utility. Arizona Public
18 Service Company spent \$4 million on campaign-style
19 advertising to try to destroy solar in the State
20 of Arizona, or essentially destroy net metering.
21 EEI came in with a \$500,000 spend on ads which I
22 kind of suspect that they regret at this point.

1 I'm not sure about that.

2 And you'll see the middle picture there,
3 it's actually a rally that occurred outside the
4 Public Utility Commission, and where thousands of
5 people showed up, including the streets were lined
6 with solar installers, trucks, you know, coming to
7 the -- I never can imagine, I spent 8 years at the
8 Commission we did not get thousands of people to
9 the Commission.

10 So you can see what happened there and
11 that just gives you a sense of the conditions that
12 led up to it. So, Audrey kind of listed some of
13 these, and we are seeing some tipping points, you
14 know, occurring in the West, where we are clearly
15 beginning to need a change in regulatory systems
16 to deal with some of the pressures that are
17 buffeting the utilities, wind prices in Colorado
18 are now, at least according to Public Service
19 Company of Colorado, less than system prices.

20 An average existing system constant in
21 Colorado, which is amazing, and we are more than a
22 million Nest thermostats. In my conversations

1 with utilities, we have the Utility of the Future
2 Center at Arizona State University where we are
3 working with a number of utilities across the
4 country. They talk more about the next thermostat
5 than solar now.

6 Why; because it's a complete end run
7 around the regulatory system. You don't need, as
8 Audrey mentioned, you don't need a subsidy to buy
9 these things, and people are just buying them at
10 Home Depot, and they are putting them in their
11 houses. I have two of them and I love it.

12 And then upfront incentives in places
13 like California and Arizona have now reached zero,
14 so we are starting to see a change, we are
15 starting to -- we need to see a change from the
16 traditional question that we ask, and this is from
17 a study called America's Power Plan, which is
18 terrific, which is, you know, did customers pay
19 the correct amount for what they got, which is the
20 traditional regulatory formula to, did customers
21 get what they want?

22 And that is a huge, huge change in the

1 way we think about this, and I think that is what
2 underlies a lot of what New York is doing. And
3 you know what, Arizona customers, and again we are
4 the reddest of the Red States, want their solar
5 energy? Nine out of 10 Arizonans say that they
6 would be willing to pay more money for renewable
7 energy, but 60 percent of Republican voters, and I
8 am a Republican who ran twice state-wide as a
9 Republican.

10 Sixty percent of Republicans say that
11 they would not vote for a candidate who said that
12 they were -- that they intended to limit solar
13 programs. And nearly 90 percent of customers
14 support our renewable energy standard. So clearly
15 there is public support for this, and they clash,
16 I think, between what some utilities are starting
17 to do in terms of pushing back against this, and
18 what their customer wants -- customers want.

19 I think that it was a mistake for my
20 state largest utility to do what they did. I
21 think it damaged their goodwill, I think it went
22 against what the customers wanted, and yet that's

1 what happened. So, again, what's happening out
2 there, clearly New York State is out there in the
3 lead, but Hawaii, has a couple of dockets open
4 which I would recommend that you read if you
5 haven't had a chance to do that yet, because they
6 are dealing with these issues in an extreme and
7 immediate way, and in Arizona we have a docket
8 open on emerging technologies in which
9 Commissioner Bob Burns is very interested in some
10 of these issues.

11 I am involved in a project called The
12 Powering Tomorrow Initiative which involves four
13 former state Commissioners, two Democrats and two
14 Republicans, we now have about 10 utilities and
15 vendor companies aboard, and the idea is to create
16 a model code of regulations that would be designed
17 to help facilitate states dealing with those
18 transition and go -- sort of tailor those
19 state-by- state.

20 And we are watching very, very closely
21 what New York is doing, and can imagine some of
22 that being a -- becoming a part of this. So

1 that's kind of what I wanted to mention, there's
2 some other sort of baby steps that are coming,
3 great making variances, performance-based
4 incentives, long-term planning like they are doing
5 in Illinois, and in ComEdison, utility ownership
6 of DG and of course, as I mentioned New York's
7 REV.

8 I'm going to skip through that, there's
9 some other interesting examples that you might
10 want to pay attention to, Xcel, and then this is
11 really interesting, Xcel in Colorado, exceeded
12 their RPS goal, and then they went out and they
13 took the RECs that they were creating, and they
14 earned \$62 million in off-system sales associated
15 with those RECs. They actually made money from
16 it, and there was a shared revenue mechanism that
17 allowed them to share the proceeds between
18 shareholders and consumers.

19 I'm going to skip the ComEd example,
20 because I think Anne is going to talk a lot about
21 that, but I think that's a good example. And I
22 think another baby step is you are seeing a number

1 of utilities start to, at least attempt to own
2 solar. And very controversial in solar industry,
3 a lot of solar companies don't like it because
4 they think it's an unfair and unlevel playing
5 field to allow utilities to try to own solar, but
6 at least it is an interesting example of utilities
7 trying to get into the game.

8 It's got to be carefully structured for
9 the -- so that all stakeholders can support it.
10 So I'm going to end it with that. I'll just add
11 another thing that I think is on the rise, and
12 there's this question of whether we can extend
13 integrated resource planning to integrate the
14 distribution system planning, so that commissions
15 start to, and utilities start to compensate
16 distributed resources as part of an integrated
17 resource planning process. So I'll end with that,
18 Paul.

19 MR. CENTOLELLA: Thank you, Chris. So
20 we are now going to turn to Anne, and Commonwealth
21 Edison has been down this road for a few years
22 now, so we look forward to learning from your

1 experience, Anne, and talking about where you may
2 be going in the future.

3 MS. PRAMAGGIORE: Great. Thank you,
4 Paul. Good afternoon. I'm delighted to be here.
5 As a Utility Executive, I always like to get into
6 the discussion of the future of the utility, or
7 the utility of the future, and there is a variety
8 of views of that, ranging from the foretelling of
9 our demise, to initiatives that actually want to
10 give us more to do, and allow us to have a greater
11 impact, which I think is terrific. I've been
12 borrowing from the Mark Twain phrase lately, "The
13 reports of my death are greatly exaggerated."

14 But obviously there's a lot -- a lot
15 happening and a lot to do. I thought what I would
16 do today is take you through the thinking at
17 ComEd. You've heard from the East Coast, and the
18 Wild, Wild West from Kris, and we are smack dab
19 in the middle, and in some ways, our trajectory,
20 is also smack dab in the middle. And so I wanted
21 to start with some of the drivers for the change
22 that we are seeing and the drivers for our logic

1 around this, and Chair Zibelman referred to
2 several of them, as did Kris.

3 But to sort of give you a sense of why
4 we see the change, what's driving us, and then
5 talk a little bit about a continuum of models that
6 we've put together of utility functionality. Talk
7 a little bit about the Illinois experience where
8 we are at, and what I think the next evolution is.

9 So, we have chart of up here that
10 identifies really sort of three major drivers for
11 change that we see. We built out a grid in the
12 20th Century that was ubiquitous, pretty uniform
13 or monolithic in the product that it served up,
14 but pretty cheap, and actually really drove the
15 economy of the 20th Century, and it served its
16 purpose, it did a pretty good job.

17 We also had a customer base that was
18 pretty tolerant of undifferentiated product, and
19 so they were satisfied with what they got. The
20 world has changed in three ways, I would say. The
21 financial model that supported the 20th Century;
22 or the regulatory model was driven by volumetric

1 pricing, you paid by the drink. So it was a great
2 model for creating low-cost capital to build out
3 this system as long as there is growth. And
4 largely throughout the United States, growth is
5 gone or it's reduced.

6 Tremendous efficiency in our building
7 stock, in our appliances; we are moving from a
8 manufacturing-based economy to a service-based
9 economy, all that is driving usage, really, out of
10 the equation. And, you know, we've seen it at
11 Exelon, if you looked at the 10 years before the
12 recession, our average growth among our three
13 utilities, was about a-point-and-a-half a year.
14 If you start at the recession and move a few years
15 out from where we are now, it's negative slightly.

16 So it just gives you a sense of what we
17 are dealing with, and if your whole financial
18 model is based on volumetric pricing, you are
19 going to have a problem with that. If nothing
20 else was happening, you would have to address that
21 issue. But there are two other things that are
22 happening that I think are really important.

1 One is, customers want features that
2 they have never asked for before. They are the
3 digital customers, the expectation economy. They
4 are not satisfied with a one-size-fits-all
5 product, and a monolithic approach to this
6 business. They want solutions tailored for their
7 particular businesses that run off of robotics or
8 microprocessors.

9 If you are a residential customer, you
10 know, you are living off your iPhone; for me it's
11 a BlackBerry, it drives my IT people nuts, but
12 that's what I use. But there is no tolerance for
13 low levels of reliability. And Chair Zibelman
14 referenced the resiliency question; weather
15 patterns are much more erratic. They just simply
16 are, and we've got data that shows that in the
17 Midwest.

18 We just had a double Derecho on June
19 30th that spun eight tornadoes in our service
20 territory. We've never seen things like that
21 before. So it's real, and we are facing it, and
22 so customers have more and more uses for our grid,

1 higher requirements for power quality, and we are
2 facing this weather problem. So changing customer
3 expectations, they want clean, green, and
4 customized solutions, rather than the monolithic
5 one-size-fits-all product.

6 And then the third driver is technology,
7 technology is changing and it's obliging our
8 customers, it's giving them the ability to tap
9 into customized solutions, to have more control
10 over their energy experience. And so we are
11 dealing with that. I think the grill is going to
12 be able to play a huge role, and serve customers
13 in the 21st Century, but I think it's going to be
14 really, really different.

15 We are moving from an asset-based focus
16 to a service-based focus, from fossil to cleaner,
17 from quantity to a quality approach generation,
18 and the 20th Century, it was about getting the
19 juice on the system, now it's about the quality of
20 the service we are providing.

21 From a universal service provider to a
22 customs solutions provider, from mass

1 communications to a very tailored, and more
2 intimate relationships with customers, and from a
3 slow, deliberate business, to a much faster and
4 more nimble business. Those, I think, are the
5 requirements. Based on that, we put together a
6 continuum of models that we thought about, really
7 just to sort spur our thinking, and they run from
8 the utility model of today, which is essentially,
9 the rate of return regulation, and the kind of
10 universal service that we provide today.

11 And we think that's a non-starter, as I
12 indicated, the growth question would drive you off
13 that in any event, but there's other activities
14 going on, dynamics that are going to move you off
15 that. And that is the enhanced status quo, and
16 this is, if I had a map I'd say, that you are
17 here, for ComEd, it's the enhanced status quo
18 model, and this is really -- You know, we are
19 working on reliability and resiliency questions.
20 We are adding digital technology in the form of
21 distribution automation meters and some smart
22 substations which start to give us some visibility

1 from substation to the customer, and are creating
2 some interesting questions and data that allow us
3 to create algorithms.

4 We can actually predict equipment
5 failures on some of our equipment in a way that we
6 never did before, so we are starting to get into
7 that, and we've modified our regulatory model
8 somewhat. We went in, in 2011, and basically put
9 together a piece of legislation that has an
10 investment plan built into the legislation, so
11 essentially, an investment portfolio that's been
12 preapproved, it's not our entire investment, it's
13 about 20 percent of it, but it does capture our
14 digital investment, which in a least-cost model,
15 least-cost regulatory model, you've got to worry
16 about deploying technology that may not in a sort
17 of literal sense, address least-cost questions.

18 So we put in a \$2.6 billion investment
19 program over roughly 10 years. We adjusted the
20 regulatory model and put in a performance-based
21 rate model. And what that did for us is it
22 addressed growth, to some extent, and allows us to

1 reset our billing determinants every year. And so
2 reallocate our cost. I don't think that's a long-
3 term solution, I think we've got to move to a
4 different kind of pricing model.

5 It's still volumetric, and basically you
6 are just reallocating cost, you know, each year
7 onto a -- you know, sort of fewer units of sale.
8 And that's not an ultimate solution. But it's a
9 bridge solution. So we dealt with growth, we
10 dealt with lag; regulatory lag is a big problem
11 for the industry in a historic, test-year kind of
12 model. We've put a reconciliation mechanism in
13 there that allows us to reconcile. We use a
14 historic test-year for O&M we use a projected
15 capital model, and it allows us to reconcile each
16 year. So we actually do capture our cost much
17 more accurately than we are used to.

18 We dealt with stranded cost issues by
19 this preapproval investment built in, and we
20 address the customer experience by building in
21 some performance metrics, and there are
22 performance-based incentives in there as well.

1 And I think this is a really basic model, it's
2 pretty fundamental, it's simple. There's not a
3 lot of complexity to it. I think we have to go
4 much deeper when we move forward in the future,
5 but I think it has some of the key elements that
6 we'd be looking for in the future.

7 The next model is the network service
8 provider model, and this is, I think what they are
9 -- what Chair Zibelman is looking at in New York,
10 and this is, we think, the go-to direction, and
11 I'll talk about this in the next slide.

12 And then the final model is a
13 full-service model, and that's where the utility
14 is essentially doing everything from the -- you
15 know, providing basic service, reliability to the
16 kind of model that they are looking at in New
17 York, where you actually are managing transactions
18 across the system at the distribution level. To
19 providing all the generation and
20 generation-related services, and that would be the
21 full-service model.

22 So we -- so I told you where we are at

1 in sort of our evolution, but where we want to go
2 to is really the network service provider or the
3 DSPP provider model. And we think that that is,
4 you know, critical. We think the grid can add
5 tremendous value here. You know, it's pretty
6 clear that distributed generation is here, and
7 customers want it, and it provides value. It's
8 also clear that for most customers a system, a
9 distributed generation system sitting on its own
10 is not going to be cost-effective.

11 So we think that the integrated grid
12 model is important, it's the way that customers
13 will be able to access most of the benefits of
14 distributed energy resources, as being tied to the
15 grid. So this model that Chair Zibelman talked
16 about, we think has roughly six elements to it,
17 from a functionality standpoint, and I'm going to
18 just highlight six regulatory issues that I think
19 have to be addressed.

20 One of the first things I'll say, before
21 I jump into the six and the six, is we think it's
22 really important to tie the functional model, the

1 operational needs and the regulatory model
2 together. If you try to deal with any one of them
3 separately, I think you are going to run into
4 issues, you may not get the optimal result for the
5 customers at the end of the day. It's really
6 important to understand how all those fit
7 together, and so that's what we are trying to do,
8 is to understand all of those aspects.

9 So we view the functionality as
10 planning, but planning will be different, and
11 you've heard that from some of my fellow
12 panelists. It will be much more dynamic, much
13 more locally focused than, you know, sort of
14 monolithic. Again, more granular, more custom;
15 ensuring physical flow, that's number two, that's
16 what we do today, but it will be different because
17 we are going to have two-way flows, so it will be
18 much more complex.

19 Real-time dispatch; this is
20 understanding all the thousands of -- hundreds or
21 thousands of inputs that you've got on the system
22 now, which we don't have today. Situational

1 awareness becomes really critical here, and system
2 thinking rather than central planning becomes, I
3 think, the mindset that we have to adopt here.
4 Transactional functions, we would expect the
5 utility to provide certain services, ramping. You
6 know, we know that certain distributed models
7 won't -- you know, won't support the kind of
8 initial surge that you need to -- you know, to
9 start up certain kinds of uses.

10 Ramping services from the customer,
11 they'll sell generation on the grid and
12 potentially services to the RTO, measuring and
13 settling all those different transactions will
14 become a big part of the effort. Network
15 optimization is number five, and you heard Chair
16 Zibelman talk about this, and I think Kris did as
17 well. So we have this communications network
18 overlay now on the grid, and network economics
19 would suggest that the more usage you can make of
20 it, you can create efficiencies and drive cost
21 down.

22 So what does that start to look like?

1 We think the smart city concept comes into play
2 here. The more usage you can tie onto the grid,
3 you are going to create efficiencies throughout
4 the economy, they may not flow in the same way
5 they have before, because I think you start
6 getting into different areas of the economy, but
7 you can create efficiencies.

8 And then finally, we think it's
9 appropriate for the utility to be in distributed
10 energy resources for some purposes. We are
11 supporters of competitive markets, but we think we
12 are distributing energy, resources can be a
13 least-cost approach to a distribution problem,
14 that that's an appropriate place. We also think
15 that we can provide a distributed energy resource
16 solutions like micro grids for public purposes,
17 that many not be able to be supported by an
18 individual customer, but the socialization
19 mechanism that we have in our model, allows us to
20 share cost.

21 And where it's appropriate, for certain
22 purposes, health care, emergency response centers,

1 that that would be an appropriate use, and then
2 there may be others. Those are sort of the two
3 major areas we see now.

4 I will finish up with the six areas of
5 regulatory questions that I think we have to
6 grapple with. I've talked about growth, I talked
7 about regulatory lag, stranded cost, recovery,
8 there's going to be concern in utilities as we
9 move forward as what might be stranded and we'll
10 have to resolve that.

11 New services, I talked about some of
12 those ramping, generation services, services to
13 the RTO, how are those priced? How do we address
14 those? Innovation, we want utilities to move
15 faster to try different things, how are we going
16 to support innovation? I know there are some
17 models out there, and the question of least cost
18 versus ultimate benefit or value or functionality.
19 We've got to grapple with that.

20 If you take least-cost at its literal
21 sense, you may not get the best outcome at the end
22 of the day, and so we've got to figure out how we

1 balance that, and I think that's important. So I
2 will finish up there. I thank you very much for
3 your time and attention.

4 MR. CENTOLELLA: Anne, that was great.
5 Thank you. Our final speaker on the Panel is
6 Chuck Goldman and, you know, Chuck, as I mentioned
7 works at Lawrence Berkeley Lab that supports the
8 Office of Electricity. So, Chuck?

9 MR. GOLDMAN: Good afternoon. It's a
10 pleasure to be here. In thinking about my talk
11 and remarks, I decided pretty consciously, to
12 differentiate what I talked about and how I did
13 it, from what Anne and Kris and Audrey did,
14 because I had the sense that they were going to
15 sort of talk at the strategic higher level.

16 And so what I want to talk today about,
17 was in some sense it builds off the paper that the
18 Electricity Advisory Committee has produced about
19 utility regulatory models, and the emerging tools,
20 and analysis that DOE might consider in
21 supporting. And I was hoping to share with you in
22 the next 15 minutes, the kinds of tools and models

1 that we are currently doing, on behalf of DOE, and
2 that we are doing -- that we are offering to State
3 Public Utility Commissions and Energy Offices.
4 And to give you feel for the kinds of analysis
5 that we are doing, and the kinds of tools that
6 some regulators are thinking about.

7 So that's sort of the game plan. Could
8 I have the bunch, so we'll try this. So that will
9 be now, the Electricity Markets and Policy Group,
10 of which I'm a member, we conduct technical
11 economic and policy analysis, on energy topics
12 centered on the electricity industry.

13 Our current research seeks to inform
14 public and private decision-making on public
15 interest issues related to energy efficiency,
16 demand response, smart grid, renewable energy,
17 electricity resource and transition planning, and
18 electric reliability. Joe Eto, Ryan Wiser and I
19 are sort of the leaders of that group. They have
20 about 25 staff. All of our work is funded by the
21 Department of Energy, Office of Electricity, and
22 some by EERE.

1 On this chart what I'm showing you is,
2 sort of the five areas that are at the
3 intersection of distributive resources and utility
4 business models. And today in my remarks I'm
5 going to talk about some projects that sort of go
6 in that space where we are quantifying the
7 financial impact of distributed resources. Talk a
8 little bit about the efficiency business model
9 technical assistance, and talk about what we are
10 doing in the future regulatory model area.

11 And what I want to say, conceptually, is
12 that we really are doing two or three different
13 kind of products. There are a lot of states who
14 are thinking about incremental changes to
15 regulation; they are sort of in the enhanced
16 status quo kind of world. And the kind of
17 questions they face, are the kind of the things
18 that came up in Arizona.

19 You know, like how do you deal with net
20 metering? And how do you deal with the financial
21 impacts on the utility and customers of that. And
22 I'll talk about an analysis tool that we built,

1 that we use in our technical assistance work. And
2 also there are some early adopters here. You
3 know, folks who are thinking about the future of
4 business model, who are thinking about fundamental
5 changes to cost of service regulation. And I'll
6 talk a little bit about the utility of the future
7 project that we are working on with DOE/OE
8 funding, to try to put out some white papers and
9 some thought pieces from folks in the industry
10 about that. So that's sort the game plan.

11 In terms of the first project, we are
12 looking at the impacts of efficiency and
13 distributed energy resources on the utility
14 profitability and customer bills and rates.
15 Regulators in a lot of states, and legislators are
16 putting in policies that support clean energy of
17 different types, efficiency resource standards,
18 RPSs, net metering. And those kinds of policies
19 ultimately it impacts, the utilities are concerned
20 about avoiding earnings erosion, and lost future
21 earnings opportunities.

22 Customers are interested in capturing

1 the benefits of these programs, and they are
2 concerned about rate increases that may arise as a
3 result of these kinds of programs. And generally,
4 what we try to do is, in contrast to what happens
5 in Arizona, we try to provide in some cases,
6 before you get to the war, we try to kind of talk
7 about stakeholder processes that use quantitative
8 tools to help provide some range of options and
9 issues for stakeholders, so they can frame the
10 discussion the way that lends themselves to sort
11 of thinking about options and solutions.

12 So, I'm going to talk about a project
13 where we, you know, conducted a quantitative
14 analysis, look at some of the sensitivities of
15 some of the key drivers, and talk about the
16 alternative mitigation approaches for penetration
17 of PV systems. The starting place for our work,
18 is that we've been doing this for the last seven
19 or eight years for the efficiency area. And what
20 I'm showing you; is we use a financial analysis
21 model, that's essentially, we'll talk about in the
22 next slide, but we get requests from state public

1 utility commissions.

2 We've worked in Arizona, Kansas, Nevada,
3 New Mexico, Massachusetts, in the Midwest. We've
4 also worked for Utilities who actually brought us
5 in the stakeholder processes, and try to have a
6 discussion about decoupling mechanisms, or
7 shareholder incentives, or things like that. On
8 the bottom there's a sleuth of technical reports
9 that came out of this work, as well as a bunch of
10 journal articles. And in general, we've had some
11 success; ultimately the Commission in Arizona,
12 used the work that we did, would be modeled APS,
13 and Tucson Electric, and used that as part of the
14 process to decide about a decoupling order and
15 shared benefits.

16 Massachusetts, the Commission used it,
17 in terms of thinking about the level of
18 shareholder incentives that they'd offer the
19 utilities. In Kansas the Commission put it in the
20 records, and they used our work to basically talk
21 about offering the utilities an opportunity to
22 file incentive mechanisms, and the loss revenue

1 mechanisms. So the technical work has, in some
2 cases, led to some good outcomes. In other cases,
3 it hasn't gone anywhere; I've got to be candid.
4 You know, sometimes it has helped the stakeholder
5 process, but they didn't get to the finish line.

6 The financial models that we use, is
7 we've developed over the last six or seven years,
8 and it's basically a spreadsheet model that
9 calculates utility cost and revenues prior to the
10 addition of distributive resources. It then
11 builds out assets. It builds up additional cases
12 based on the policy drivers in that state. We
13 might be modeling an aggressive efficiency,
14 renewable standard or aggressive net metering
15 program, or some forecast of PV penetration rates.

16 We do have basically base case and a
17 bunch of sensitivity analysis. The model -- the
18 outputs of the models are what happens to
19 shareholder earnings and return of equity over
20 long time periods. This is a 10- or 20-year kind
21 of time look. And we also look at what happens to
22 customer bills and rates. We have the capacity to

1 look at what happens to participants in programs,
2 versus non-participants. We have the capacity to
3 look at what happens to customer classes.

4 In general, what we find is that people
5 -- and we have a pretty transparent process, so
6 people explaining the inputs, and calibrating to
7 where the utilities start from, and it provides
8 some framework for some discussion. We also model
9 a set of policy mechanisms that commissions have
10 at their disposal; whether it be the decoupling
11 mechanisms, differences in rate design, fixed
12 charges, demand charges, lost revenue mechanisms.
13 And we talk about the impacts of those mechanisms
14 on shareholder earnings, and customer bills and
15 rates. So that's sort of the analytic framework
16 that's used.

17 And so the study that came out today was
18 a study of two prototypical utilities that we
19 modeled. One was a Southwestern utility that's a
20 vertically integrated utility, sort of like
21 Arizona. And we also modeled the Northeastern
22 utility, sort of like Massachusetts. And we

1 looked at a range of penetrations of PV from zero
2 to 10 percent, and recall Kris' slide where today
3 we are in the worst-case, we are like 5-7 percent
4 in Hawaii, 2 percent.

5 And so we are sort of -- we did the
6 (inaudible) and sort of pushed the outer bounds,
7 and test issues about, what may the death spiral
8 look like, if you really get to very high
9 penetration rates of PV? And what this slide is
10 showing you is the reduction in revenue
11 requirements, over a 10- or 20-year period, for
12 different penetration rates of solar in these two
13 utilities, and then the qualitative of what you
14 see is that the revenue requirement of the utility
15 goes down by the order of 3 to 4 percent. In
16 other words, there's some reduction in cost, as we
17 have lots of PV, the utilities are avoiding fuel
18 costs. In some cases, they are deferring some
19 capacity investments on our vertically-integrated
20 utility. With these utility, what they are
21 avoiding mostly is purchase power. These guys are
22 just distribution companies, and in that purchase

1 power, there are some fuel and there some, you
2 know, capacity that they are avoiding as well.

3 And you get a sense of the magnitudes
4 about what happens. And what I'm pointing out
5 here is the power of the model, in a sense that it
6 allows us to -- we are essentially functionalizing
7 utility cost. You can see capital assets; O&M
8 purchase, power, fuel. So people can get a sense
9 of what we are actually -- what are the benefits,
10 what the reduction revenues to the utility
11 actually looks like.

12 And then we also present the results of
13 what happens on the earnings side, as well as what
14 happens on the rate side. And what you can see
15 from these results is that at 2.5 percent
16 penetration, we are looking at earnings reductions
17 of on the order of, to ROE about less than a
18 percent for vertically innovated utility, and
19 about 4 or 5 percent for the Northeast utility.

20 And what's happening in that case, is
21 what's going on in the model, is that this utility
22 has higher non-fuel costs, which cannot be offset

1 by increased PV penetration. Relative to the
2 Southwest Utility, the way in which they report,
3 they have lots of fixed O&M costs, they've got,
4 you know, benefits, they've got high medical
5 costs, but when we sort of benchmark with those
6 guys, they say, well this is what happens when our
7 revenue start to go down, because we've got PV
8 coming on our system.

9 And you can see at the 10 percent level,
10 that you really are locating some big hits, for
11 10, 15 percent return on equity downward kind of
12 pressure; and then on rate in tax, relative
13 modest. You know, from all customers we are
14 looking at less than a percent, at 2.5 to about 3
15 percent. You know, still it's significant, but
16 it's not -- clearly bigger impacts on the earning
17 side than in terms of customer rates.

18 In the report there are many sensitivity
19 cases, there are many examples of -- you know, all
20 the input assumptions are sort of out there, you
21 can see the range of results, so that you can look
22 at lot of, it's like 40 different scenarios of

1 what it looks like.

2 I'm not going to show the quantitative
3 results, but in the analysis what we did, is we
4 also looked a variety of mitigation measures, so
5 revenue per customer, decoupling, loss revenue
6 mechanisms, shareholder incentives, sure there are
7 rate case filings, no regulatory lag. Both of
8 these utilities have historic test years, current
9 and future test years as opposed to what they
10 have. Increased demand charges and fixed- charge
11 rate design changes, and in each of the studies we
12 sort of give you a feel for the magnitude of the
13 impact.

14 Can you solve the problem with this
15 stuff? Can you also figure out the utility-owned
16 PV, and can you -- does that deal with the loss
17 earnings opportunities? So the studies sort of
18 quantifies for the Commission, in those states,
19 you know, how far can you get with this kind of
20 solution, and you probably need to do a
21 combination, if you want to sort of address this
22 kind of stuff.

1 But again, my main point here is to
2 indicate that OE has sponsored the development of
3 this tool, we've used it in a bunch of states, I
4 do actually find it to be quite informative and
5 helpful to states, when, if they are in the place
6 where they are sort of on a path, they are not
7 doing conceptual changes to the whole industry.
8 They are sort of in modes of sort of solving
9 incremental problems, and that's where they are.
10 In a lot of states, that's where a lot of folks
11 are today.

12 But a lot of folks are clearly thinking
13 about much broader issues about the future of
14 regulation, and so we are -- LBL is commissioning
15 a series of concept papers, exploring key policy
16 and regulatory issues, with increasing levels of a
17 full suite of distributed resources.

18 Customer-sited generation storage,
19 efficiency and demand response. And we are
20 calling this sort of a publication series; we are
21 going to explore both incremental and fundamental
22 changes to utility regulation. We are going to

1 examine the proposals for new business models, and
2 we hope to advance a level of discussion on the
3 future of cost to service regulation.

4 We have assembled an advisory group of
5 about 20 folks, regulators, utilities, clean
6 energy companies, some consumer groups, consumer
7 advocates environment groups, to provide input and
8 guidance to us on how to frame these topics, how
9 to prioritize among them, and who will review the
10 work plans, and who will review the products. And
11 so far, you know, we are just getting started,
12 we've had a couple meetings of our Advisory
13 Committee and I'll share with you -- share with
14 you where we are in the process.

15 We hope this will be -- we've envisioned
16 this as multi-year kind of activity, because the
17 number of topics that have been suggested by the
18 Advisory Committee are far more from the funding
19 we have for year one. So at this point, after our
20 first two meetings for the Advisory Committee,
21 we've sort of grouped the projects into sort of
22 five topical areas.

1 We hope to publish three sets of papers
2 over the next couple of years. The first set of
3 papers will come out in early 2015. We are going
4 to put -- LBL is going to put out a short
5 introductory paper to sort of talk to the
6 audiences about what to expect over time. You
7 know, why didn't we pick the topic that you wanted
8 to hear about in year one. Or that's going to
9 come in year two. I'm going to show you the sort
10 of frame, what the logic is and why we are doing
11 this order. Our Advisory Committee has helped us
12 rank the projects basically, or the papers.

13 The first area is sort of key policy
14 questions. We are going to start by exploring
15 what functions of the electric system we'll need
16 to perform in the future, and then consider which
17 of those are natural monopoly utility functions,
18 versus roles that the marketplace could be taking
19 on. And Commissioner Zibelman sort of laid out
20 that conceptually, in one of her first early
21 slides. But that kind of discussion, we see
22 states that are embarking on this process and

1 thinking through it, as sort of a starting place
2 kind of question.

3 The second area is broadly incentive
4 regulation, here we'll consider such topics as
5 designing performance metrics, for utilities, in a
6 way that aligns with public policy goals for
7 distributed resources, among other public
8 interest; how to measure performance against those
9 metrics. When you look at the history of
10 performance- based regulation, what regulators
11 tell us is, the utility knew a whole lot more than
12 us, where we don't -- we are not sure we trust the
13 way we did these performance metrics, we are not
14 sure we are getting gamed on this stuff.

15 We'd like to have some folks think about
16 how to do these mechanisms in a way that's useful,
17 and that we can believe, and so it's a real key to
18 any PBR system, is whether or not you can get
19 support from your stakeholders and your
20 Commissioners about -- you know, you have to keep
21 it simple, but you also have to be able to
22 actually measure the things that you want to take

1 a look at, based on the policy objectives to your
2 state.

3 The third area, is transitioning from
4 traditional cost to service regulation, it covers
5 issues that utilities can fund as they moved away
6 from strict cost of service regulation. We are
7 considering topics such as a toolbox of
8 alternative regulatory mechanisms that are already
9 widely practiced, like decoupling shareholder
10 incentives, multi-year rate plans, as well as
11 emerging areas, like opportunities for greater
12 shareholder risk and rewards. A number of these
13 topics were suggested by the Advisory Committee.

14 The fourth area is reviewing
15 implementation experience, among the items that we
16 could cover here, are survey and value-added
17 services that our utilities are offering now, and
18 what we can use from those experiences going
19 forward. Also, what experience has been with
20 performance-based regulation in the electricity
21 industry as well as other industries?

22 There's a number of discrete, technical

1 issues that people on the Advisory Committee have
2 raised. They recommended some technical issues
3 like, how does the tax code that may -- how is the
4 tax code -- that may be driving changes for
5 utilities. This is structures that avoid double
6 taxation, and increase after-tax returns to
7 shareholders, including real estate investment
8 trust and master limited partnerships.

9 So we definitely have some utility folks
10 who are in interested exploring some of these more
11 technical topics that sort of drive the finance
12 folks in utilities and making sure that some
13 broader audiences are aware of some of those
14 issues.

15 We are also doing a paper that lays out
16 a typology of regulatory paradigms in the utility
17 business models. There's a lot of -- there's a
18 lot of conversation on the topic of business
19 models in the country today. There's not always
20 an agreed upon sort of a way of framing these
21 issues and describing them. So we are hoping to
22 sort put out sort of a -- I won't say a one-on-one

1 kind of document, maybe a one-on-one, two-on- one
2 kind of document that lays out for folks, the
3 utilities based on market structure and associated
4 scope of asset ownership, and present a typology
5 based on four fundamental characteristics; profit
6 motivation, profit achievement, the role of the
7 utility in providing value- added services, and
8 the openness of utility networks.

9 We are going to use this typology to
10 highlight issues that raised estate regulators
11 adapt cost of service regulation to include
12 alternative rate making, and incentive regulation
13 approaches. We hope the typology will help frame
14 discussions that are going on out there, and this
15 paper will come out in the fall of this year.

16 This is sort of a pictorial image, along
17 the spectrum of -- Anne talked about this --
18 transition between assets and value, and from
19 commodity to services, so we tried to sort of
20 frame it in a much similar way, maybe she -- some
21 folks have talks that we've been giving the last
22 year on this topic. But, you know, to think about

1 traditional cost of service regulation, with
2 value- added services allowed, to where you don't
3 have that stuff, and how you think about that, we
4 are going to try to describe what some of these
5 models look like, and what we observe in various
6 states where people can find themselves along this
7 kind of spectrum.

8 So what I hope to do and I hope I've
9 done this; try to give you a feel for the kind of
10 tools that the Office of Electricity is currently
11 sponsoring in the utility regulatory arena.
12 There's an ambitious, a much broader list that's
13 been proposed in your paper. I think the one
14 thing I wanted to say, maybe, is that we found
15 that having a financial model that can be -- that
16 can incorporate pricing changes, incorporate
17 resource plans, can incorporate policy choices, is
18 a helpful, larger- picture kind of tool, before
19 you get down to the level of distribution pricing
20 mechanisms.

21 And some of the tools that are suggested
22 in the paper, I find that for people who are

1 starting out and thinking about -- who want to
2 bring people together, oftentimes it is that we --
3 it's a decent -- it's a good first place to start.
4 And at least has worked in a couple of states
5 where -- a number of states where we've been
6 active the last four or five years.

7 So with that, I'll look forward to the
8 discussion. Thanks.

9 MR. CENTOLELLA: Thank you very much,
10 Chuck, and members of the Panel. I think this was
11 absolutely fantastic, as a roadmap and an
12 introduction as to where we are. So, Rich, do you
13 want -- do you want to call on people, or would
14 you like me to? Okay.

15 CHAIRMAN COWART: Why don't you do it?

16 MR. CENTOLELLA: Granger, I think you
17 have the first card up.

18 MR. MORGAN: That was nice. Most of you
19 talked about the importance of innovation, you
20 talked about the rise of DG, and Anne correctly
21 noted that there are economies of scale,
22 especially for gas-fired DG that may make them for

1 all, but very large facilities, like hospitals, so
2 not very cost-effective.

3 And most of you talked about micro
4 grids, but none of you talked, at least
5 explicitly, about laws on exclusive service
6 territories, or who is going to own micro grids.
7 I don't think there's any inherent technical or
8 other reason, safety reasons, why modest scale
9 micro grids that serve multiple customers couldn't
10 be owned by private entities. Indeed if you asked
11 me to put my money on who is going to be more
12 innovative, I probably would put it on private
13 entity.

14 So I would like to hear a little bit of
15 discussion about modest modifications to exclusive
16 service territory rules, and the possibility that
17 micro grids could be owned and operated down
18 under, and interconnected with conventional
19 utility, but owned by private entities serving
20 more than a single customer. I mean at the moment
21 I can build a micro grid if I'm on a university
22 campus or something like that, but I can't do it

1 if I want to serve multiple customers in an
2 industrial park, for example.

3 MS. MAYES: That's a great question, and
4 I'll take a stab at it first. I work for a
5 university that would love to build a micro grid.
6 We've constructed 20 megawatts of solar, and most
7 solar on any university campus on the planet. At
8 Arizona State University we have thought a lot
9 about doing a micro grid on our campus. The
10 problem is, it's still -- we have a lot of very
11 technical research going on, that will be
12 threatened if the micro grid went down.

13 MR. MORGAN: But you are a single
14 customer, so you can presumably legally do it.

15 MS. MAYES: We can -- we cannot legally
16 do it because we don't have the space on our
17 campus to build generation, we'd have to go across
18 the street, which would require regulatory change
19 to allow us to serve power across a public right
20 of way.

21 MR. MORGAN: Okay.

22 MS. MAYES: To your point about changing

1 specific regulations that prevent this, I mean,
2 there was clearly a time when the utilities in
3 Arizona passed that regulation or that law that
4 says, you can't serve across a roadway. Why;
5 because they wanted to prevent this kind of
6 situation from happening. So I think you are
7 right. We could come up with -- this is one of
8 the things that Powering Tomorrow will be looking
9 at.

10 What is the -- what are the regulations
11 that need to change to enable that from -- to
12 enable that to happen? There are lots of entities
13 that would like to do that. In Arizona we have
14 multiple military bases, that are already capable
15 of islanding themselves, and would like to be able
16 to do that. And so I think you are absolutely
17 right.

18 MS. ZIBELMAN: We, actually New York has
19 tariff, it's called a Campus Tariff, that allows
20 for micro grids to be owned by private entities,
21 and also we have a couple of commission rulings
22 that talks about the fact that you conserve

1 non-owners. There is an issue in terms of
2 adjacency, and one of the things that we are
3 looking at, is we are focused on community -- we
4 are calling them community micro grids, where we
5 actually have a status dedicated, \$40 million, to
6 develop out micro grids that are community-based.
7 So we are actually actively going to allow, now
8 these --

9 MR. MORGAN: These would be not for
10 profit?

11 MS. ZIBELMAN: No. These will be for
12 profit entities.

13 MR. MORGAN: Okay. Yeah.

14 MS. ZIBELMAN: So the concept is, is
15 that these are virtual in a sense, is that you are
16 not really building the wires, so you really are
17 thinking in terms of how you aggregate the load
18 and the demand as a portfolio within the context.
19 And our project that ConEd is doing actually right
20 now in Brownsville, which is looking at a really
21 community-based distributed energy, as an
22 avoidance of building up a substation, it has the

1 same context. In this case it's ConEd's
2 solicitation, but in the future cases it doesn't
3 necessarily have to be the utility solicitation.

4 MR. MORGAN: So, Rich, may I ask one
5 more follow up?

6 MR. CENTOLELLA: Sure.

7 CHAIRMAN COWART: Paul is in charge.

8 MR. MORGAN: So under that scheme, if
9 I'm going to build a new industrial park, which is
10 going to have road, which presumably will
11 ultimately become the property of the township,
12 and is it legal in New York State for me to put in
13 a modest size micro grid to serve the several
14 entities in that industrial park?

15 MS. ZIBELMAN: Yes. I mean you could --
16 you can do that in New York so long as you don't
17 want to be served by the distribution utility that
18 you are -- you know, that you want to make sure --

19 MR. MORGAN: But I want to be
20 interconnected, I want a fair rate, so I want to
21 support them, and with a rate that is appropriate.
22 I mean, Michael Dworkin, one of the PhDs I

1 supervised, helped us design rates of this sort.

2 Why can't I do it?

3 MS. ZIBELMAN: I think that the question
4 is, it's what's the rate? I mean if you are going
5 -- and this our debate we are having around
6 standby rates. If you are going to be dependent
7 on the system to be there, and then the utility
8 has an obligation to build out its system --

9 MR. MORGAN: Sure.

10 MS. ZIBELMAN: -- to make sure that you
11 are there, which means you need to be (inaudible)
12 --

13 MR. MORGAN: On the other hand, if there
14 are 20 of me, you don't need the full coverage for
15 all 20 of us.

16 MS. ZIBELMAN: Well, I think that
17 becomes the question I was talking about today,
18 sort of this whole issue of networking. If you
19 put in enough resources behind the meter, right,
20 and so that rather than thinking of to build the
21 distribution grid, it is the concept, it's as if
22 -- if there's going to be an advantage, as you

1 have many, many more resources, it reduces the
2 obligation of the distribution utility to provide
3 service, because you can do a lot more load
4 management behind the meter.

5 I think though that, if in fact, we did
6 do this, I always thought you were going in a
7 different direction, which is that if you created
8 this -- these wires, you know, separate company,
9 the challenge I have, and I don't know the answer
10 to this, we have this issue in New York right now,
11 we have 270 water companies, and quite frankly
12 about one-half or more than two-thirds of them
13 really should not be in the water business,
14 because they can't afford to maintain the system.

15 And so, I think the challenge as a
16 regulator, is going into it, it sounds like a
17 great idea. What if economically, it doesn't work
18 out? Who is going to take over that system, and
19 who is going to run it?

20 MR. MORGAN: I'll stop. But you don't
21 regulate the wiring in my house, for example, and
22 so it's not clear to me why you should -- except

1 that, you know, I need to meet safety and other
2 requirements, it's not clear to me why a PUC
3 should have a role in regulating a small scale
4 micro grid that serves several entities. But I'll
5 stop.

6 MS. ZIBELMAN: Well, I think yeah --
7 well, we can continue.

8 MS. PRAMAGGIORE: Yeah. I would just
9 add. So in Illinois, we actually have Illinois
10 Institute of Technology has its own micro grid,
11 and it is a single- service customer and that's
12 what makes it work. I don't think we are
13 resistant to third parties coming in and building
14 micro grids, but I do think, you know, to Chair
15 Zibelman's point, the pricing around that, and
16 understanding what is the service that the grid is
17 actually providing in those situations, is a
18 really critical question. And we want to make --
19 ensure that there's value provided for that.

20 And then, you know, I think, to some
21 extent, the difference between the wiring in the
22 house and bringing the micro grid on, unless it's

1 a standalone system, is, what happens on that
2 micro grid could impact, in my case, 3.8 million
3 customers across the ComEd system. So whatever
4 happens there needs to -- you know, has to sort of
5 coordinate with the grid in a way that make sense;
6 whereas if something happens to the wiring in your
7 house, it's probably not going to reverberate
8 across the system in quite the same way.

9 You might blow a meter out but -- so I
10 think that's the challenge for us, and I just, you
11 know, encourage us to pay attention to the
12 operations aspects of this. I mean we are fully
13 supportive of an integrated grid, but we do want
14 to pay careful attention to the operations,
15 because they make a difference, in our view.

16 MR. CENTOLELLA: Bob Curry?

17 MR. CURRY: I guess, to add to that, and
18 just quickly, going into it, if you have 20 micro
19 grids, it depends on the order in which they come
20 on. If they all come on at the same time, you
21 might be able to substitute something for
22 something, but otherwise you need to build out to

1 the highest possible tolerance and work down.

2 I guess I wanted to follow up on the
3 comment that Jeff had made earlier in his question
4 of Joe, that Chuck had made. And that is
5 grounding all of the efforts that were undertaken
6 in the real world economies of what it costs to do
7 something. Solar penetration is enhanced by a
8 particularly favorable investment tax credit which
9 is scheduled to expire in 2016.

10 Will this whole penetration continue
11 because the cost of the components is going down
12 at such a rapid rate that that is no longer
13 relevant? It's the fact that there's sort of a
14 standard 15 percent accelerated depreciation in
15 the model that is not going to go away when added
16 to the remaining 10 percent investment tax credit
17 that will be sustained going forward enough to
18 make --

19 The stuff that we look at, at DOE, tends
20 to be more from an engineering and pragmatic way
21 of getting things done, and what I see lacking, I
22 think Paul Hudson referred to it a little bit

1 earlier; it's, how does this really price out in
2 the real world? And yes, that's a geographical
3 question that's a tolerance for taxes, those of
4 you who have lived in New York and receive the
5 Consolidated Edison Bill, probably are aware of
6 the fact that 10 percent of gross goes to the City
7 of New York.

8 Oh, that's what the -- 1.3 billion a
9 year. Does it have an interest in what happens to
10 that Bill? Yes, it does. So to the extent that
11 the sensitivity to the tax regime, both in
12 incentive and also revenue side, and how the
13 financing actually works in the real world, how we
14 can sustain the utilities with the appropriate
15 incentives, I think it's a very important
16 component and I think from what I've seen in the
17 REV process we are keeping it fairly firmly in
18 mind in the State of New York.

19 MR. GOLDMAN: I would just add that at
20 least at LBNL our Renewables Team, Ryan Weis and
21 Mark Bullinger, had just put out a study that
22 looks at what might happen to different types of

1 renewables after the investment tax credit
2 expires, and sort of what alternative financing
3 folks, arrangements might -- people might be
4 contemplating, in terms of ownership structure.

5 So, Robert, I definitely agree with you
6 in terms of grounding and the practical finance of
7 what these resources might cost. And I think the
8 risk of empirical work out there at the labs --
9 that starts to look at that question.

10 MR. CENTOLELLA: Next question, Tim
11 Mount?

12 MR. MOUNT: So I want to follow up on
13 Granger's issue. I found the panel presentation
14 very encouraging, looking at things that really
15 should have been looked at a long time ago, but
16 there still seems to be a belief that the
17 incumbent utilities are going to sort of be in
18 charge of everything. And I suppose my counter to
19 that, is that I think that an organization like
20 SMUD, that runs its own distribution system, is
21 actually more innovative than most distribution
22 systems; certainly any in New York, even though

1 ConEd is trying to catch up.

2 So I think that it makes sense to
3 consider seriously distribution system operators
4 who operate their local system for the benefit of
5 their customers, period. So that if they, for
6 example, as we have now, with net metering, if
7 they pass on the problems of clouds going over the
8 solar connectors, to the utility, they have to pay
9 for those problems.

10 But on the other hand, if they have
11 local resources, and they manage their low
12 profile, so that it's sort of well behaved, they
13 could save money, and that actually, would be a
14 much better, you know, model to look at because
15 Wall Street is always going to be looking over the
16 shoulders of the incumbent utilities, and putting
17 on the brakes, basically.

18 MS. PRAMAGGIORE: Yeah, I -- you know, I
19 don't -- I guess the only way that I can respond
20 to that, is how do you attract the very large
21 amounts of capital that you need to build out -- I
22 mean, we are not sort of building out the system

1 from scratch like we were 100 years ago. But we
2 are doing some pretty significant investment if
3 you look at what's happening -- you know -- what's
4 happened in the last few years, and what's likely
5 to happen over the next 10 years.

6 I don't know how you attract that -- a
7 large amount of capital, and frankly governmental
8 entities right now, you know, are struggling in
9 terms of cash flow. I mean we serve 415
10 governmental entities in our state, and you know,
11 they are looking to consolidate because they are
12 -- you know, struggling with cash flow. So I just
13 -- I don't know if the investor and utility model
14 is -- you know, is completely -- is not where we
15 want to be, I do think it's a pretty effective
16 vehicle for attracting capital into a situation
17 like this.

18 But I don't disagree; I think what's
19 underlying your premise, is that when you are
20 focused on a customer, desires and needs and
21 benefits that you get better outcomes. And I do
22 think that that's a shift that the utilities were

1 starting to think about. I think we've got a ways
2 to go. I do think performance incentives and
3 metrics -- you know, incentive are great things, I
4 mean, you can very easily predict behavior, based
5 on the incentives you create, and so I think that
6 that's a road to drive the utilities more in that
7 direction.

8 So I won't disagree with the fundamental
9 premise about, tied to the customer, but I do
10 think the -- you know, shareholders, it's still a
11 good investment vehicle, I think when you have,
12 you know, massive capital needs.

13 MS. ZIBELMAN: Yeah. I guess -- I think
14 there's a couple things I would add to that, one
15 is -- one thing that we do know utilities are very
16 good at, and like any other businesses, that they
17 will maximize profits within the regulatory model
18 that they serve in. Now that's -- if they didn't
19 they wouldn't be meeting the needs of their
20 shareholders, there's nothing wrong with that.

21 The fact is that the regulatory model
22 we've set up, does not really incent innovation,

1 does not really incent energy efficiency, does not
2 really incent having third parties come onto your
3 system. I mean there's just nothing there for the
4 utility, so we move the incentive mechanisms, in
5 terms of the risk-reward is around driving
6 innovation, I think you will see a changed
7 mindset.

8 And that's the conversation we've had
9 with our utilities, if not then allow the
10 regulators to find a better way there. But the
11 other thing I would say, and the owner operator
12 model, to me, is still a better model relative to
13 driving investment. I do think there is something
14 to the fact that it's an efficient -- it is an
15 efficient way of raising capital, but also I --
16 you know, the idea of having an independent entity
17 that has stakeholders rather than owners, and
18 customers, I think, you won't get as much out of.

19 Because as I see in the RTL Model is
20 that there's -- the stakeholders really,
21 fundamentally, end up having to serve their
22 economic interests, and the customer somehow gets

1 lost in that equation. And so I think a model
2 that's really focused on meeting customer needs
3 through innovation, will be much better.

4 But, you know, the other piece though,
5 that we very quick to talk about is one -- you
6 know, you are making a transference too; I think
7 we have to be -- we do, and I don't want to -- we
8 have to be pragmatic. I mean there's -- as Bob
9 was saying, you know, utilities are the best
10 collectors of local taxes, that we all know.
11 Every time we shut down a -- talk about shutting
12 down a generation plant in New York, I have a
13 community saying, wait a minute, you are going to
14 shut down the schools.

15 And so these are all things that, you
16 know, frankly, we have a very interconnected
17 economy that's built around this structure, and we
18 are not going to be able to do everything at once.
19 We do have to think about how to make really the
20 system work better; then if, in fact, there's
21 another business structure that comes in, so be
22 it, but I think it's got -- that has to evolve,

1 predicated, and thus building out the system.

2 MR. CENTOLELLA: Okay. Wanda Reder, you
3 have the next question.

4 MS. REDER: Yeah. Excellent Panel. I
5 had a lot of questions come up, but I was
6 impressed with the constituency of vision, and yet
7 I kind of step back and wonder, you know, there
8 seems to still be a lot of barriers along many
9 fronts.

10 And I'm wondering from your perspective,
11 what are the things that we can really do in the
12 next foreseeable future to push the change
13 management agenda? And then within that, what can
14 DOE be doing, perhaps with NARUC and the states,
15 to help facilitate this to make it just an easier
16 thing to solve?

17 MS. ZIBELMAN: A couple things that I
18 think really come to mind. I think the work that
19 Kris was talking about is going to be really
20 important, one of the feedbacks, you know, I get
21 is, well people -- you know, how much staff -- how
22 many people you have on your staff. I mean, we

1 are a big state, and so we have, I think, over 300
2 people participating, are proceeded, but we can
3 manage that. I think a lot neighborhood
4 Commissioners look at what we are doing and they
5 are intimidated simply by the process of change;
6 because you are really talking about not just not
7 working between utilities, it's a much larger
8 ecosystem.

9 So taking some learnings and actually
10 coming up with a potentially formulaic to some of
11 the stuff that LBNL is doing, approach to
12 regulatory change, I think, will facilitate that.
13 That may be a good -- you know, a very good
14 exercise coming out of it.

15 The other area that I -- as I mentioned
16 before, I really think in terms of coming up with
17 the system architecture, this really fits into DOE
18 sweet spot, and some of the things that Joe was
19 talking about; is what do you want to do in terms
20 of setting interoperability standards, if you're
21 really talking about networking architecture?

22 Then what does that need to look like?

1 And some of these cost issues because, you know, I
2 think it would be shame on us if we had 4,000
3 different utilities across the United States
4 trying to think this through on their own, and
5 trying to defend it in front of regulators, it
6 would cost us a lot. So I think it would cost us
7 a lot, so I think that would be an area where I
8 think DOE and the Energy Advisory Committee could
9 play very heavily in helping think through, you
10 know: what's this process? Essentially, if you
11 are building the Internet of Things, what's that
12 standard need to look like?

13 MR. GOLDMAN: I wanted to add one
14 comment about that, at least that we've been
15 thinking about. I've done a fair amount of work
16 with performance-based regulation over the last 20
17 years, and I think meta rules, that I hope DOE may
18 decide to do is there's going to -- there's going
19 to be reliability metrics that are coming into
20 play, and there's service -- customer
21 satisfaction, service quality metrics.

22 And the work that DOE has been funding,

1 at various labs, that tries to get consistent
2 definitions of SAIDI and SAIFI, and tries to get
3 ways to -- so that we actually understand
4 reliability and outages. That kind of
5 foundational work, and the education, and
6 regulators, ultimately I hope will give regulators
7 confidence that when they actually have
8 reliability metrics in there, that they are not
9 being gamed by this stuff, and system efficiency.

10 So I think there's a couple of technical
11 areas where we get to design in PBR mechanisms
12 that actually deal with price caps and revenue
13 caps. When you deal with some of those other
14 things that I think are, where the notion of, that
15 -- I think DOE can play an important role,
16 part-based on how do we learn the smart grid
17 experience, about trying to provide the
18 information foundation that will allow regulators
19 and companies to be able to do internal and
20 external benchmarking in a way that's consistent
21 and fair.

22 MS. PRAMAGGIORE: I think there's a huge

1 role here, and it's, you know, very much along the
2 lines of what Chuck and Chair Zibelman talked
3 about, and that is standardization, standard
4 language, standard thinking, standard approaches.
5 I think of this as Wave II, of restructuring. I
6 think of Wave I, being largely driven at the
7 Federal level. You were basically separating
8 generation from distribution, and so a lot of the
9 policy was made, somewhat, uniformly. Or at least
10 not as fragmented as we have in Wave II, which is
11 really about what's happening at the distribution
12 level.

13 And so you've got regulation happening
14 in, you know, 50 different states, and so how do
15 you create enough standardization that you've got
16 interoperability, that you've got a common
17 language, I mean just to start there. So I think,
18 you know, thinking about a standard language, and
19 standard approach to analysis. I think some of
20 the models that Chuck had, that really looked at,
21 you know, systems thinking. He regulatory in
22 there, he had operational, he had functional.

1 You know, getting people to think that
2 way, dynamic modeling of the system, we are going
3 to have to look at what's going on at different
4 parts of the system in a way that we haven't
5 before, can use help with that, but betting
6 everyone looking at similar kinds of models in
7 that way, I think there's a really big role here.
8 I think we are going to take cost out of the
9 system if we can do that. If we don't, I think we
10 are going to have a lot of economic waste.

11 MR. CENTOLELLA: Okay. The next
12 question goes to Marilyn Brown.

13 MR. BROWN: Thanks, Paul. Great panel,
14 I really enjoyed it, learned a lot. As a
15 regulator at Tennessee Valley Authority, I'm
16 always going to be thinking along the lines;
17 there's Tim's question and then -- Oh, he's trying
18 to apply the analysis of the regulatory models to
19 different context, and it's kind of hard it really
20 makes me -- makes my -- it hurts my brain, it
21 hurts. I can't -- I can't do that translation, I
22 need some help.

1 So the public power model that TVA
2 activated of course, is multiple goals for
3 Tennessee Valley Authority, including not just
4 innovation, and environmental stewardship, but
5 economic development and low rates which, you
6 know, always comes back to haunt me. And I like
7 the low cost. (Inaudible) but you can tell from
8 those goals that there is a big push on growing
9 the economy, and enhancing the livelihood of TVA's
10 customers.

11 So when I look at the tools you are
12 developing, Chuck, are fabulous, you are really
13 adding a lot of clarity and rigor to the
14 discussion about the tradeoff of the different
15 regulatory approaches. It seems to me that often
16 it boils down to tradeoffs. Tradeoffs between --
17 and do the revenues go to the earnings of the
18 utility, or to reduced rates, and costs to the
19 customers? How do you trade off the reductions
20 between, or the impacts on participants --
21 participants versus non-participants?

22 And I think that the models do you know,

1 a pretty fine job of clarifying how the tools, the
2 different regulatory business model features,
3 impact each of those, but I think it may be
4 missing a bigger context. And it's sort of the
5 things that I deal with when I'm -- apply a
6 macroeconomic model onto the whole system.

7 So you have low rates, earnings suffer,
8 but jobs grow, the economy grows, the demand
9 grows, the earnings improve, and you have a whole
10 swarm of maybe importing different kinds of
11 commodities into, say, the Valley, you are not
12 perhaps importing as much coal, but you are
13 importing -- but you are using lot of more
14 indigenous resources; and that's growing the
15 economy in the Valley. I don't think there's that
16 level of complexity in the tools, yet. Do you
17 have a sort of aspirations to add that to a more
18 macroeconomic feature to the tools that you are
19 developing now?

20 MR. GOLDMAN: The Finder Model
21 originally included both investor and utilities
22 and public power, so that has the capacity to

1 analyze public power and municipal utilities
2 basically. We've never had a request to actually
3 do it, which is interesting, in the seven or eight
4 years that we've been doing this, we only get
5 request from investor and utility, regulatory
6 commissions on that process, which I think is
7 interesting in itself.

8 MR. BROWN: We can't fix that.

9 SPEAKER: We'll see if we can.

10 MR. GOLDMAN: But I do think, Marilyn,
11 you are raising a broader issue, which is, I would
12 acknowledge completely that we've defined the
13 problem within the framework of regulation and
14 historically; who our clients historically have
15 been. DOE's guidance has been pretty clear to us,
16 that our primary audiences and clients are state
17 regulatory commissions and energy offices who are
18 oftentimes understaffed and under-resourced. And
19 that the type of expertise that we have at the
20 national labs, given limited DOE budgets in many
21 cases, can best be utilized by trying to ascertain
22 their needs and trying to serve them well in the

1 context of broader stakeholder processes.

2 And when we do that, we work with
3 utilities, we work with RTOs, we work with all the
4 parties, but we start out, at least at LBL, from
5 the perspective that we have to be pretty grounded
6 in the tactical assistance of what this -- at
7 least the program that I work in, is sort of
8 supposed to be doing. And so I think the models
9 you have -- you are conceptualizing are great for
10 decision- makers, and for people who have TVA and
11 BPA.

12 And I think you should -- I think those
13 -- I hope those folks have the -- they should have
14 the resources and the tools to develop that stuff.
15 These are billion-dollar corporations or entities,
16 and so I expect they fully have those kind of
17 resources, but it is a more expansive vision that
18 at least, we've been starting out with.

19 MR. CENTOLELLA: Rebecca?

20 MS. WAGNER: Just to follow on Wanda's
21 comments or request for, just what else could DOE
22 be doing? What I've observed in this process and

1 working on this paper is that there is a
2 disconnect between utilities, regulators and
3 policymakers, so I mean, there's a disconnect.
4 I'll acknowledge that, even within our own
5 Commission, about our perceptions on how things
6 can go.

7 In New York it sounds like the REV --
8 because I can't think of what the acronym stands
9 for -- so I'm just going to call it the REV Model,
10 or concept, was brought forward by the Commission.
11 It sounds like in Illinois that was driven by the
12 utility through legislation. Before we can all
13 start evolving in our regulatory models and our
14 utility business models, you need buy-in from
15 those of us -- well, regulators, policymakers and
16 utilities.

17 Any suggestions on how we get there? I
18 mean I wrote a portion of the paper regarding
19 DOE's convening authority, but there's got to be
20 something. I can have a conversation with one
21 utility executive at a certain level, at NV
22 Energy, and they have no idea what I'm talking

1 about. I can guarantee if I went to the mid-
2 American level, they would know exactly what I was
3 talking about.

4 And it's -- and then legislators have a
5 completely different perspective. So any way we
6 can kind of shape this? That would be, I think,
7 helpful for the whole effort.

8 MS. ZIBELMAN: You know, I think that,
9 from my observation on what's happening, and I've
10 been with the Commission a year. In New York this
11 actually started as a result of the Governor
12 really looking at and saying things have got to
13 change, and putting together a team with the
14 assignment of, you know, get this right. And so
15 that -- so it really did start, you know, from a
16 standpoint of that level, so it wasn't that heavy
17 a lift for me because it was the reason why I was
18 brought in.

19 But I think, from my perspective, EEI is,
20 you know, itself beginning to look at this and
21 moving, I think, trying to move away from, this is
22 a death spiral, as to how do we embrace this, and

1 how do we move this forward? I think there's
2 active dialogue there. I think at NARUC this is
3 becoming more and more of a common conversation.
4 I had an opportunity to sit in the National
5 Governor Association had their energy meeting here
6 yesterday, and we are seeing more and more
7 conversations.

8 So I think the conversation is
9 occurring, people are starting to formulate it,
10 and I think, you know, the work that we are all
11 doing, is to try to make it more of a concrete
12 discussion so that people actually know what they
13 are talking about, is happening. I mean, I really
14 am -- I think within a year, you are going to
15 probably expect to see many more states opening up
16 proceedings, and looking at these issues in a much
17 different way.

18 I mean, within NARUC itself, as you
19 know, there's probably about eight or nine states
20 who are actively looking -- have proceedings
21 going, and you know, are looking at these issues.
22 So I think it will -- it will get there, but like

1 everything else in electricity, I mean, it's an
2 education process, because when things are going
3 well, nobody really pays attention, and it's
4 really, that's in New York -- for want of a better
5 word -- we had, you know, we had Super Storm
6 Sandy, so people started paying a lot of
7 attention.

8 MR. GOLDMAN: It's clear that crisis
9 brings opportunity, and New York clearly faced a
10 very serious crisis, but also this is a very
11 unique situation, right, three of the four
12 utilities are -- have U.K. Subsidiaries, they've
13 gone through the PBR process there, they have a
14 very strong leadership in their Governor. They
15 have, you know, it's a -- every state is
16 different, as you know, and I think the only thing
17 I would say is, find the state that looks a little
18 bit like Nevada, and follow this process.

19 For example, I think that Minnesota is
20 actually quite interesting, because it's a
21 vertically integrated utility, in a state with a
22 modest Commission staff, and the history of sort

1 of working together, and they are trying -- they
2 are looking at these issues in a very thoughtful
3 way, pretty early in the process. But, you know,
4 probably from California, no one is going to do it
5 the way California does it. You know, it's just
6 not the way most people are going to do it.

7 We have the resources, the amount of
8 money and the amount of staff that's (inaudible)
9 in California, nobody else wants to do that in the
10 U.S., and New York probably comes second. People
11 look at New York and say, you know, we don't have
12 a 300 Commission staff. So I look at the -- look
13 for states and places where you can find -- where
14 you can -- where your utilities can relate to the
15 conversation. Where they say, this is not some
16 crazy guy from California talking about this
17 stuff. He looks like us, and that --

18 SPEAKER: They speak with (inaudible).

19 MR. GOLDMAN: I think that's actually
20 helpful. In the work that I do around states, I
21 really try to find models that people feel
22 comfortable with.

1 MS. PRAMAGGIORE: Yes. I'll just echo
2 what you heard. I actually -- so I've been in the
3 Utility since 1998 and, you know, dealing with
4 restructuring since that time, and I actually
5 think there's more consistent dialogue going on
6 right now, through all the different stakeholder
7 groups that I've seen, so I actually, am pretty
8 optimistic. It's going to take a while, there are
9 some really thorny issues here, and they -- and
10 with big stakes.

11 You know, if we get it right, you know,
12 to Marilyn's point, you've got a vibrant economy,
13 and you've got people working, and you've got
14 electricity that's you know, reasonably priced for
15 the value you are bringing, and if you get it
16 wrong you have economic waste.

17 So it makes sense to work through it,
18 and make sure that we get it as right as we can.
19 It will never -- you know, it's not a perfect --
20 there's no perfect solution set, but I do think
21 people are having the conversation now, in a much
22 more consistent way than I've seen in a long time.

1 MR. CENTOLELLA: Rich, you have the next
2 question, but I'm also aware that we are pushing
3 up on 4:10, we have four cards up. We've gone
4 through the Panel time, and most of the discussion
5 time for the group, so I'm going to ask you to --
6 what you want to -- how do you want to proceed
7 from here?

8 CHAIRMAN COWART: Sorry. I'm looking at
9 the agenda.

10 MR. CENTOLELLA: Clearly, very, very
11 popular topic and I don't want to cut people off.

12 CHAIRMAN COWART: Yes, it is. Right,
13 it's a great topic.

14 MS. REDER: Let's finish the last three.

15 CHAIRMAN COWART: Yeah. Okay. I was
16 just looking through, Wanda. All right, we can
17 continue for another 10 minutes.

18 MR. CENTOLELLA: Okay. You have the
19 next question.

20 CHAIRMAN COWART: Like everybody else, I
21 want to say thanks to the Panel. I mean, I was
22 very happy to see who was coming, and I was very

1 happy to hear what you had to say. I just want to
2 make one observation.

3 As we consider sort of the architecture
4 of the utility business model of the future. It
5 struck me, listening to all the presentations
6 today, that something that I am sure is in the
7 back of everybody's mind but wasn't said, which is
8 that, whatever we come up with, has to
9 aggressively, and fairly dramatically, drive
10 emissions in this sector, down; over the time
11 period that we are talking about, having this
12 architecture in place.

13 So, we know from the beginning that, you
14 know, the preconditions here or the foundational
15 goals, are economic viability, reliability, it has
16 to physically work in the real world, and I would
17 add that anybody that's creating the design
18 criteria for this architecture, has to have on the
19 list, and it has to drive the emissions in the
20 sector, or across the economy, significantly
21 lower.

22 If we go through this whole process, and

1 come up with something that doesn't accomplish
2 that, then I think we have failed, and the reason
3 why it comes to my mind is, I've been doing this
4 work in Europe, and in any meeting like this in
5 Europe today, it would have been listed by every
6 speaker as one of the three essential design
7 criteria for a model. And I know everybody has
8 got it their mind, and I'm just urging us to be
9 very clear that we design this -- these new
10 architectures with this goal in mind.

11 MS. ZIBELMAN: Actually I think it's in
12 my slides as one of the objectives. This is so,
13 but I agree.

14 CHAIRMAN COWART: And I guess I would
15 add, if we do design it that way, then we see
16 opportunities for load growth, for example, the
17 electrification of light duty transport, and
18 suddenly we have a different business model with a
19 lot more resources that we can call on. So it's
20 just important that we -- all these conversations
21 include ideas like that.

22 MS. ZIBELMAN: Yes. Thank you.

1 MR. CENTOLELLA: Thank you, Rich.
2 Sonny?

3 MS. ZIBELMAN: I have to leave.

4 MR. CENTOLELLA: Okay. Thank you very
5 much, Audrey.

6 MR. POPOWSKY: Well, sorry. Sorry you
7 are leaving Audrey. But anyway, primarily -- I
8 want to follow up on something that Anne said. I
9 think about that customers are seeking customized
10 solutions, and my question is from a -- and first
11 of all, I want to say, a terrific Panel. I
12 thought this really was just excellent.

13 But my question is, for most residential
14 customers, I'm not sure that they are seeking
15 customized solutions, but what they are seeking is
16 to be able to have reliable service, at a
17 reasonable price. And to me, what I always come
18 back to is; well, what's the default product?
19 What's the product for the guy that moves from
20 Philadelphia to Chicago? They are still an
21 excellent by the way; but what's the default
22 product?

1 And how do we devise a system that, at
2 the same time we are opening up the opportunities
3 for all these customers that do want customized
4 solutions and all the great things we are talking
5 about today; and at the same time, taking care of,
6 or protecting maybe the 70, 80, 90 percent of
7 residential customers who want to be able to get
8 just basic reliable service and reasonable prices.

9 MS. PRAMAGGIORE: Yeah. I don't know
10 that I have an answer for you, but we think about
11 it a lot, and I completely agree, and I think
12 that's, you know, one of the concerns that we have
13 when we think of, you know, different options for
14 coming at this, you know, this question of what
15 does the grid look like in the future? To the
16 extent that, you know, there are certain things
17 that you can do, that basically leave you with
18 sort of a bare-bone system for a group of
19 customers, and that's not where I think we want to
20 be.

21 I mean, you know, the beauty of the
22 original system is that it served everybody pretty

1 equitably. You may not have had the greatest
2 reliability that you could have, but everybody had
3 pretty decent reliability at a pretty reasonable
4 price if you look across the country. And I think
5 that's coming into question because you do have,
6 you know, customers, and to your point, not
7 everybody wants a custom solution, some people
8 just want to be able to turn the lights on, and
9 not have to worry about, you know, paying the
10 bill.

11 But there are others, you know, we have
12 customers that work off of my microprocessors,
13 manufacturers. And, you know, I spent last year,
14 I went around to some of our, you know, major
15 manufacturing customers, and virtually every
16 single one of them runs off of microprocessors.
17 So it's not just -- it's not an outage. I mean,
18 outages, they are long gone with that, it's
19 voltage depressions, and you have ruined their
20 business.

21 You know, they are out of production for
22 a day trying to reset those systems. So the types

1 of things that they need on the system to serve
2 them are very different, than even five years ago.
3 A lot of this is just -- it's happened, it's
4 interesting over the recession period, but I agree
5 with you that that's a question, and I don't know
6 that we have any answer for it, but we do think
7 about it, and I think that's part of, you know,
8 the notion that the integrated grid can provide
9 the greatest economic value is that it creates,
10 you know, we think it maintains a level of
11 reliability and service to, you know, many of the
12 customers who don't have the option, you know, to
13 move off the grid, or to take on different
14 solutions. I don't think that's a great answer
15 but we do think about it.

16 MR. CENTOLELLA: Jeff, next question?

17 MR. MORRIS: Thanks. I'm going to
18 direct this at Chuck, and first I just want to
19 say, as a policymaker, it looks like your shops
20 has put in a lot of great reads this summer,
21 greatly appreciate it. And I've been waiting for
22 the study that came out today, and it would come

1 out, so I kept looking at your website, and
2 reading the other reports, I mean --

3 MR. GOLDMAN: It only just came out a
4 couple hours ago, yeah.

5 MR. MORRIS: So I hope this is not too
6 repetitive of Marilyn's question but, you know,
7 there's a lot of focus on, kind of, states with
8 your high density or high commodity rates for
9 electricity and, you know, in my state I've got 64
10 utilities in Washington State, three are
11 regulated, the other 61 are different forms of
12 public or co-opts.

13 Different dynamic than Hawaii, very
14 cheap commodity price, they are afraid of opting
15 to actually publish their poles and wires
16 costs, because their fear is, is that customers
17 will leave when they look at how much they are
18 paying for poles and wires versus the actual
19 of the commodity itself. So it's kind of the
20 opposite of Hawaii.

21 Is there -- with the algorithm you built
22 for this report, is it possible to look at either,

1 you know, rural, you know, high infrastructure
2 cost, or cheap power versus infrastructure cost as
3 a different variant from what's been built in the
4 current report?

5 MR. GOLDMAN: The financial model allows
6 you to functionalize cost for generation
7 transmission distribution, customer charges by
8 customer class, and allows you to forecast it out
9 into the future, and allows you to compute average
10 rates by customer class. And so you can look at
11 some of those questions. I'm not sure what
12 problem you are trying to solve, it sounds like
13 you don't have any -- you know, I'm not sure what
14 the issues you are concerned about in Washington,
15 per se, so I think that's --

16 I mean, the only thing that I would say
17 is that from -- at least from the experience that
18 I had in smart grid working with smart utilities,
19 the bigger challenge unfortunately is that the
20 variability in the municipal model is quite broad.
21 I mean when you have companies like SMUD that are
22 really leading edge, and you have companies in

1 other parts of the country who could not install
2 AMI, and couldn't get the thing to work, because
3 they just didn't have the resources and the
4 people.

5 So I think the challenge in public power
6 and rural co-ops is oftentimes it's skill sets;
7 it's what's the economy of scale they need to sort
8 of manage a modern grid? And a lot of function I
9 think they could do really, really well, in terms
10 of customer service. But sometimes I think they
11 have some problems and challenges on the technical
12 side.

13 So I think one of the challenges is to
14 think about, how can those folks work together in
15 ways that work for the business model they have?
16 And take -- and getting access to technical
17 skills, and the technical resources they want to
18 make the changes they want. Still in a very small
19 utility context, you know, and that's, I think,
20 one of the challenges that those folks face.

21 MR. CENTOLELLA: Okay. Last question.
22 Merwin?

1 MR. BROWN: Thank you. And thank the
2 Panelists, to both those who are there now, and
3 those who left. I've done some thinking on this,
4 and done some writing on it, and the institutional
5 structures for this industry, that were created in
6 the first of the 20th Century, began to be
7 attacked in the 1960s. And then you can trace the
8 evolution to where -- it seems to me we've reached
9 a critical point to where something has to be done
10 relatively fast compared to history, anyway.

11 And knowing that it's a big something,
12 and so we have to get it right; I think, because
13 as someone said, the stakes are quite high. And
14 it's going to very difficult to do by
15 sub-optimization approach where you optimize one
16 step at a time. The odds of you coming out on the
17 other side are very slim. You can't jump a big
18 gap in multiple steps in other words, multiple
19 leaps.

20 So we need someone with a long vision,
21 long- ranged vision to lead, and someone who can
22 stick to it to make it happen and build this

1 cathedral, to use another metaphor. When you look
2 at the stakeholder with driven entities, they are
3 driven pretty heavily, pretty harshly, by the
4 quarterly return kind of approach to things.

5 In other words, you can't really I think
6 trust them to have the long-range vision and stick
7 to it for very long. And when you look at the
8 policymakers, those who must answer to voters, I
9 think they suffer from some of the same short-term
10 thinking; that they can't get the votes if they
11 tend to think in terms of the long-term. And then
12 on top of that, there is the rate payers who, I
13 think, are going to start seeing rates to go up,
14 and don't ask the question why. What am I getting
15 out of this investment that's going on now? The
16 regulators, I think, are being pressured by all of
17 those three major players in this arena.

18 So my question is, and despite New York,
19 apparently, you know, have taken on this task of
20 taking the long range and the big picture; what do
21 you think is -- from a regulated perspective --
22 are your chances of holding out long enough before

1 all the backlash from these other short-ranged
2 people who are going to stop you before you get
3 across the gap, before you make your leap and you
4 get caught halfway? Can you give me some hope,
5 what's going to happen?

6 MR. GOLDMAN: I think the only -- well,
7 just sort of a -- I'm not an optimist, Merwin, but
8 you're even -- you've caught me for a sober
9 assessment. I think the one that I would say is
10 that we -- we are very fortunate in the U.S. to
11 have relative low gas commodity prices, and I
12 think that buys us a lot of time. And we also
13 have a rebounding economy in a lot of parts of the
14 state, and despite California's reputation as a
15 terrible place to do business, we have a vibrant
16 economy right now, and we are doing great, in the
17 Bay Area at least.

18 And so I'm actually optimistic that we
19 have sometime in terms of -- and because of the
20 recession, we actually have some excess capacity
21 in parts of the country. So we actually have some
22 time to work through these, and absorb the cost of

1 infrastructure, which, to be honest, would be we
2 are undecided. We have invested in electricity
3 industry. You know, we under-invested for lots of
4 years as we went through restructuring.

5 And we haven't been candid about it, we
6 need to tell the truth about what really happened
7 during the period, but we do have some time, and
8 we should take action.

9 MS. PRAMAGGIORE: Yes. Chuck,
10 everything you said, I think was, you know, very
11 -- very powerful, and I just -- the only thing I
12 would add is just to pick up off the last point of
13 having the candid conversation. You know, this is
14 just an industry where it's really hard to have
15 the candid conversation, it's complicated. For
16 the most part people don't really want to discuss
17 it except us. You know, we think it's great but,
18 you know, most of my customers don't really want
19 to have a discussion about it.

20 But I think we have to sort of -- we
21 have to tie this industry's success to the
22 economy. I mean it really is about, you know,

1 whether we are going to have a successful economy
2 in the 21st Century, and that means jobs and
3 benefits for everybody, and I think we have to
4 have that conversation. I think we also, you
5 know, alongside with that, is the notion that, you
6 know, there is more choice in this industry, there
7 is more options and that's -- you know, has
8 individual benefit.

9 And not to lose Richard's comment about
10 the green aspect; when I think of sort of the two
11 drivers or the two pillars, it's about, you know,
12 economic -- yeah, economic strength in the 21st
13 Century for this country, and that's reliability,
14 resiliency. And, you know, we've always managed
15 our cost pretty well in this country when you
16 look, you know, internationally. We've had some
17 pockets, me being one, where it wasn't so great at
18 certain times, but in general we've managed the
19 cost pretty well, so that's one pillar.

20 And now the other pillar is -- you know,
21 and that -- and our economic success is tied to
22 being successful here. The other pillar is, if we

1 don't deal with the emissions problem, and this is
2 the industry to do it, we are going to have
3 physical problems, environmental problems that we
4 can't manage after a certain point.

5 So those are the two drivers, and I
6 think -- and so we have to have the conversation
7 about what it's going to take to get there, and
8 there is some cost associated with it. And one of
9 the things that we tried to do when we went in
10 with our legislation, was we said, we are going --
11 we know we are going to raise prices on you, our
12 customers.

13 We are going to tell you how much we are
14 going to raise prices on here, but this is what we
15 will give you for that. We'll meet these
16 standards; we'll meet these performance metrics.
17 If you don't like that sort of tradeoff, then this
18 is not going to happen, but if you agree that this
19 is really important, improving reliability, you
20 know, reducing estimated bills and, you know, the
21 numerous performance standards that we have built
22 into this legislation, this is what, you know,

1 your bills are going to go up \$3 a month.

2 And we were very, very explicit about
3 it. I think we -- I think that's the conversation
4 -- I think we have to have an honest conversation,
5 and it's tough in this industry. I agree with
6 you.

7 MR. CENTOLELLA: Thank you, Anne. I'm
8 going to add just one comment to -- in response to
9 Merwin. I mean, if you think about America, I
10 mean our strength has been innovation; our
11 strength has been looking at how we get to the
12 frontier. And that is clearly a big driver of
13 economic growth and productivity in our economy,
14 it is also essential to meet Richard's concern
15 about climate change, because we don't have all
16 the technologies that will be necessary to reduce
17 emissions on a global basis, and this is a global
18 problem.

19 And so, you know, this is an opportunity
20 for us, but it's also an opportunity that we
21 really have to rise to meet, and that's an issue
22 both for the department and for the industry and

1 stakeholders generally. So with that, let's give
2 our remaining Panelists a round of applause. This
3 is a great push start (inaudible).

4 (Applause)

5 CHAIRMAN COWART: Paul, Thank you very
6 much. And I concur. It's a great Panel.

7 SPEAKER: Thank you.

8 CHAIRMAN COWART: Can we take a
9 10-minute break?

10 (Recess)

11 CHAIRMAN COWART: I have the strong
12 suspicion that there are brilliant conversations
13 going on in the room that will have to be deferred
14 until dinnertime.

15 MS. REDER: So we'll get started here.
16 I'm just going to give a little bit of update on
17 this smart grid area. We've got the regulatory
18 tools paper to approve and Paul has to leave at
19 5:15, so that's why I'm moving this thing along.

20 To give a little recap of what we've
21 done. We have put a lot of encouragement to DOE
22 to summarize the ARRA stance, put it in the matrix

1 and benefit forums to make it easier to get at,
2 and to work with the stakeholders to push the
3 information out. So what Joe presented today was
4 evidence that the message has been heard. There's
5 been a lot of work in that front, and I encourage
6 all of you to take this material back and kind of
7 push it into our respective communities because
8 there's so much there, in order to kind of
9 leverage and learn going forward.

10 As we take a look at 2014, with all that
11 we've done and where that takes us into 2015 -- do
12 I have clicker? I don't know -- next slide. We
13 have had several speakers here, and others -- in
14 the monthly calls it seems like there's so much
15 that happens, so these are the kind of speakers
16 that are coming forward, as we can lead them into
17 the agendas, and oftentimes we come up with themes
18 through these speakers that either help us in the
19 existing papers, or create ideas to move forward
20 in papers.

21 Laney Brown, for example, certainly gave
22 us some insights on the ICE Model. The ICE Model

1 was behind the scenes on the cost of -- the
2 avoided cost from Chattanooga and others, for
3 interruptions saved. And that work is going to be
4 dusted off and improved upon, so that model can
5 continue to get better as we connect reliability
6 improvements to the cost to society, and the
7 benefits that society sees.

8 But anyway, we'll continue to do this
9 two more that on the forefront, energy, storage
10 and smart grid, Dan Ton is going to do. I really
11 think the EPD Chattanooga experience by Dave Wade,
12 is going to give us some insights to how he is
13 going to be able to leverage and manage the data.
14 And I think that will actually spur some thinking
15 on taking the information and kind of how do we
16 leverage it going forward, because the work that
17 he's done has been absolutely amazing; and
18 continues to be on this journey of bringing the
19 data together and using it in a way -- innovative
20 ways to improve operations.

21 Next slide; on the panels, we did have
22 the Distributed Energy Storage Panel, and of

1 course we just heard we will have the information
2 and tool development to support future regulatory
3 models, we have that. Now, I think what we are
4 leaning towards doing -- we can go to the next
5 slide -- is ramping up a couple of papers that
6 have been in the slide, one is distributed energy
7 storage paper, I'll talk about that after Paul
8 gets done, in the interstitial of time.

9 These are just three slides, there's an
10 outline, and actually you've seen a lot of that
11 before. Clark Gellings says they are working on
12 an R&D paper, and that has been kind of customized
13 to marry well in with the 21st Century work. So
14 we will hear about the 21st Century paper tomorrow
15 and, of course, the R&D paper will be released on
16 the heels of it that really talks more
17 specifically about the technology.

18 So those are both 2015 releases. We are
19 here to help Joe and others in reviewing reports
20 that are in flight, and of course some work that
21 needs to be done is to kind of step back from the
22 ARRA stand and just provide some overall comments

1 on that's gone. I think some themes that I've
2 been hearing is, you know, what technology -- how
3 do we integrate the technology, looking for
4 overall grid architecture and the overall
5 controls? Where are the interfaces with the
6 regulatory piece, and how we continue to dance
7 that pass the tool side?

8 So that seems to be the space that our
9 community is continuing to evolve in, and I think
10 beyond the reflections the ARRA, that's largely
11 where we are going to spend our time. I think in
12 the interest of how fast the clock is clipping
13 along, at this point I'd like to just roll it over
14 to Paul, and he can talk through the regulatory
15 tools, paper of which you have distributed. Our
16 goal here today, is actually to get full EAC
17 approval on this so we can go forward.

18 MR. CENTOLELLA: Thank you, Wanda. So
19 if we can get the slides up summarizing the paper;
20 and find the clicker. So let me first of all,
21 thank all of the people who work on this paper,
22 and there were many of the people who were here

1 who had a hand in it. Bob Curry, who I guess has
2 -- you know, has left the room; Rebecca Wagner.
3 Wanda had a piece of it; certainly Paul Hudson,
4 Paul Roberti, and Sonny Popowsky. Marilyn had
5 some very good comments, and Former Member of the
6 Committee, Phyllis Rea, worked on this as well.
7 If I've missed anyone, please excuse me, but it
8 was -- it was certainly a team effort.

9 So let me just run through a few things
10 quickly and then we'll see where the discussion
11 takes us. So our initial was that electric
12 distribution, we are being asked to do a lot of
13 new things. This was going to require significant
14 investment in a field that's slowly growing or
15 declining in sales. It was going to require
16 integration between real-time distribution from
17 operations that integrated, you know, from
18 distributed resources all the way up through the
19 grid to generation.

20 And then that was a significant change
21 from the historical patterns which was kind of to
22 build distribution to fit the demand requirements.

1 And utilities and regulators are really being
2 challenged to develop new -- both utility business
3 models and regulatory models. What we did was to
4 develop a paper on the information and tools that
5 DOE could develop, and to discuss the convening of
6 discussions, about how best to, you know,
7 utilities and regulators could meet emerging
8 requirements.

9 So the paper reviews some of the current
10 regulatory and policy discussions, and supports
11 continued exploration of some of these issues. It
12 discusses the emerging requirements for the
13 industry. It summarizes both adaptations of
14 traditional cost of service regulation, as well as
15 alternative and emerging regulatory models. I
16 want to point that it recognizes differences among
17 jurisdictions, and does not endorse or recommend
18 any specific model.

19 This is something that we don't see as a
20 DOE rule, but see DOE as supporting the
21 consideration of alternative models in the
22 different jurisdictions. It recommends that apart

1 from developing information and tools in nine
2 areas to assist with the development of these
3 models, and it recommends that the department use
4 its convening authority to support discussions of
5 emerging models.

6 A bit of background, you can see it
7 highlighted here, and I probably should have
8 highlighted it because of the emerging
9 technologies proceeding that Kris mentioned in
10 Arizona; Arizona as well. The hash states are the
11 western states, Interstate Energy Board states
12 that did their own analysis of all kinds of
13 regulatory models. These are just a few of the
14 things that are out there in some of the leading
15 states, and I'm sure there are things elsewhere
16 that I've missed.

17 Here are some of the changing
18 requirements that are driving some of this change,
19 and many of them you've already heard in the panel
20 discussion today. So I won't try to go over all
21 of them. We also did a kind of topology of
22 different regulatory models, ranging from the

1 existing cost of service model, to one set of
2 alternative models that are ex-post models that
3 lean towards supporting investment.

4 These are things like capital
5 expenditure, trackers, and formula rates. And
6 another set of ex-ante models that tend to lean
7 towards driving efficiency, but in the absence of
8 being based on utility business plans on having --
9 we will output incentives may not support
10 investment and may not support reliability.

11 So those include multi-year revenue and
12 price gaps. Then you have a couple that try to
13 bridge that gap, the sliding scale formula that's
14 used in parts of the South, and the result-based
15 regulatory model that's used in the U.K., Ontario,
16 and that is being considered in New York.

17 And so we talk a little bit about what
18 those different models are. And then we -- you
19 know, we reach our recommendation, and of course
20 the first recommendation is for DOE to really help
21 regulators look at alternative regulatory models,
22 develop a white paper, and you'll see later on in

1 our recommendations, will also play a role in
2 convening the discussion on these models.

3 Now we have a bunch of more specific
4 recommendations, and I'll pause at this point and
5 see if people want to move to individual sections
6 of the paper to discuss, rather than have me just
7 run through everything. If there are individual
8 sections we can turn to them, otherwise I'll
9 continue to summarize some of the more detailed
10 recommendations.

11 CHAIRMAN COWART: I think it would make
12 sense, Paul, just to ask if there's any comments,
13 or problems with each recommendation as we go
14 through. And then to see if there's any
15 discussion or whatever, and then, when we get to
16 the end, we will entertain a motion for approval
17 of the paper.

18 MR. CENTOLELLA: Very good. Thank you.
19 So recommendation number one; is DOE develop a
20 white paper on alternative regulatory models, and
21 how those models play a role in meeting emerging
22 requirements. Any questions, comments, on this

1 recommendation?

2 Recommendation number two; this is based
3 on looking at data that is now becoming available
4 about distribution reliability. In part, because
5 of work that was done at LBNL, EAA is now starting
6 to collect data on reliability metrics from
7 distribution utilities, at least those
8 distribution utilities that follow the IEEE
9 standards.

10 And so our recommendation here is that
11 the department should evaluate the data that's
12 being reported, and prepare a white paper
13 describing both the available data and how it
14 might be useful to both utilities and regulators,
15 recognizing that it may have uses in tracking
16 utility performance, or benchmarking that
17 performance. Questions or comments? Okay.

18 Recommendation number three, grows out
19 of a larger set of issues, and we heard this
20 discussed somewhat today, the fact that regulators
21 and utilities are evaluating a range of
22 investments in both modernizing the grid, and

1 improving the reliability of the distribution
2 systems, deploying and integrating distributed
3 energy resources, and developing information and
4 control systems that are going to be needed in a
5 world with many more distributed technologies.

6 You know, these evaluations involve some
7 new and complex issues. Issues about, you know,
8 how energy and to what degree and how energy and
9 capacity cost, may or may not be avoided by
10 distributed resources. Issues about how the cost
11 and impacts of distributed resources may vary from
12 distribution system to system, based on the number
13 of resources on that system, based on the
14 characteristics of that system, and may not be
15 captured at a sort of high level, that treats all
16 distributed resources and all deployments of those
17 resources the same.

18 And how to -- you know, how ultimately
19 regulators and utilities can direct and help
20 manage the development of the new information and
21 control architectures that will be necessary to be
22 developed over time in order to manage this

1 system.

2 So our recommendation in this area is
3 that, if the department you have a -- if the
4 department should work with industry to develop
5 and make available additional data on the cost of
6 -- oh, let's see -- I'm skipped up. All right,
7 here.

8 Recommendations that is -- I skipped
9 ahead of myself in my notes -- is that, you know,
10 we recognize that the DOE Grid Tech Team is
11 already beginning to look at this area, that
12 should be supported, but there are some specific
13 things that we think DOE should be supporting.
14 One is the development of distribution planning
15 models and tools, and related data, and
16 information and methodologies that allow you to
17 look sort of from the bottom-up, and integrate
18 your more detailed information into regulation and
19 planning. We make a specific reference here to
20 what are called reference network models which are
21 models that are used in parts of Europe and Latin
22 America in the context of regulation.

1 Additionally, picking up on Chuck
2 Goldman's comment earlier, we also suggest that
3 the support for the development of economic
4 valuation and financial model. Third and this is
5 really an area that goes beyond just regulation,
6 and I think ultimately should be the subject of
7 further review by the EAC.

8 There will be a need for systems,
9 information and control architectures and market
10 structures, for this more distributed environment,
11 and the Department, in terms of supporting
12 regulators in utilities, can begin by supporting,
13 looking at how those architectures and systems can
14 be developed. Ultimately we think, you know -- at
15 least my personal view, is this is probably a
16 multi-year, maybe hundred-million dollar effort
17 that needs to be funded, and I know the Department
18 has tried a couple of times to get that level of
19 funding for this issue. This is an issue that
20 probably the EAC should come back to in the
21 future, in terms of looking at in more detail.

22 And finally; providing technical

1 assistance both to regulators, policymakers,
2 staffs and utilities, and other stakeholders about
3 how to use all of this information; so, fairly
4 detailed recommendation. Detailed planning
5 models, financial models, support for regulators,
6 and other stakeholders in understanding that, as
7 well as ongoing support for helping them
8 participate in the development of the kinds of
9 systems that will be necessary in a distributed
10 world. Questions about this recommendation?

11 CHAIRMAN COWART: I just think you need
12 smaller type. (Laughter)

13 MR. CENTOLELLA: Well, you've read the
14 report, right? Let's --

15 CHAIRMAN COWART: I think it's a great
16 recommendation, actually.

17 MR. CENTOLELLA: Okay.

18 CHAIRMAN COWART: Yes. Carl?

19 MR. ZICHELLA: Yeah. This is a minor
20 thing, but it's somewhat important to a lot of
21 folks that I work with, and the economic valuation
22 bullet is right on, but I do think, you know, it

1 could be couched a little differently. It sounds
2 like all we have are impacts that we need to
3 evaluate how much that cost us. And the actual
4 benefits, potentially, from integrating these
5 resources are overlooked.

6 We talked a little bit about that
7 earlier today, the subject of a lot of research
8 right now, so a very live area, is what the
9 benefits are, as well as the cost, and getting
10 that right, especially if we are going to be
11 instigating changes. Some of the people that may
12 be needed to make those changes will be resisting
13 if they feel like the benefits or the technologies
14 they support aren't being incorporated in that
15 calculus.

16 MR. CENTOLELLA: Well, our intention was
17 not to insert the word cost before impacts but,
18 you know, we can accept -- certainly accept and
19 edit that says, you know, both costs and benefit
20 impacts.

21 MR. ZICHELLA: I think for the audience
22 we want to reach, it might be a useful change.

1 Okay. Wanda can you perhaps keep track of these
2 changes.

3 MS. REDER: Yes.

4 MR. CENTOLELLA: Any other comments on
5 this? Yes, Jeff?

6 MR. MORRIS: Thank you. It's not -- I
7 guess just one nuance that I want to at least
8 throw out for consideration. I know that I'm
9 negotiating this space for policy, that one of the
10 things that's constantly brought up by the public
11 sector utilities, is the lack of some tools that
12 they have. Wherein the mitigation has always
13 talked about is utility ownership with some of the
14 DG equipment. Well, obviously public entities
15 like, you know, PUDs and municipalities don't have
16 access to some of the depreciation tax tools.

17 And I think that, you know, that that
18 should be noted there's -- that there's not
19 one-size-fits-all silver bullets. And, you know,
20 the public has some special considerations that
21 need to be accounted for.

22 MR. CENTOLELLA: Do you have a specific

1 thought about how we should -- I mean, we've tried
2 to not just talk about regulators and regulations,
3 but also about utilities. You know, throughout
4 the paper to try to recognize that not all
5 utilities were regulated in the same way; but if
6 there is other specific things that you are
7 thinking about --

8 MR. MORRIS: Yes. It's just that some
9 of the mediation tools that are being talked
10 about, and developed are really, I think,
11 seemingly focused on regulated utilities. And
12 there's going to be some consideration because
13 public utilities are having the same loss of
14 revenue that the regulated utilities are. And
15 they don't have all the same tools to necessarily
16 mitigate that loss.

17 So, I don't necessarily have a solution,
18 I guess it's a nuance that might -- reading
19 through this my first (inaudible) was, well this
20 seems to be all focused mainly at regulated
21 utilities for the most part, and maybe -- I
22 usually don't carry a lot of water for the public

1 utilities, but I just want it noted.

2 MR. CENTOLELLA: It was something that
3 we thought about, you know, we started out with
4 this being a regulatory tools paper. So, I mean,
5 that is, I guess, something to note, but we did,
6 you know, in several places try to use both
7 regulators, and utilities with the idea that
8 utilities would included public power utilities.

9 MR. MORRIS: Yeah. I think it's
10 specific for me, is that, you know, in most states
11 -- in some states because of case law, a public
12 utility cannot offer something as product unless
13 the legislature specifically passes a Bill saying
14 you can sell street lights. I'm just throwing
15 that out as an example. And so, you know, those
16 are the other types of tools that I'm seeing that
17 you have to have state legislatures authorize the
18 sell. It's not the same in every state that way,
19 but in some it is.

20 And then maybe you have to be -- other
21 tools put out there to make up for the lack of
22 them being able to depreciate some of these assets

1 that are being offered as mitigation tools to make
2 up for the loss of revenue, from loss of power
3 sales.

4 MR. CENTOLELLA: Well, if you have a
5 specific place where you think that there's
6 something that we should add, I mean, we can
7 certainly look at that. I'm not sure whether -- I
8 guess I'm not picking up exactly what that would
9 be, but you are certainly open to --

10 MR. MORGAN: Well, he might solve it by
11 just, in that final sentence before the bullet
12 saying something like; for a variety of ownership
13 models, or for something like -- something like
14 that.

15 MR. CENTOLELLA: That will be fine.
16 Yeah, right before the colon there.

17 MR. MORRIS: Great.

18 MR. CENTOLELLA: Okay. Can you record
19 that? Yes?

20 MR. KENCHINGTON: Yeah. Hank
21 Kenchington, DOE. I was just wondering, these are
22 tools for the distribution system, why do you all

1 feel that this is a proper role for the Federal
2 Government to develop these tools?

3 MR. CENTOLELLA: Well, I would say that,
4 you know, what we are seeing is that the power
5 system is becoming more integrated from, you know,
6 transmission all the way down to distribution.
7 You know, I guess, I don't read anything in the
8 DOE Act, as opposed to in the Federal Power Act,
9 which says that the Department of Energy should
10 only be concerned with the power system at about
11 the power level.

12 You know, and it certainly -- you know,
13 many of the issues that we talk about, for
14 example, in terms of reliability, or integration
15 of renewables, are issues that happen at the
16 distribution level. You know, this is not say
17 there are not roles for states, and we do call
18 that out at specific places in the paper. Yes,
19 Chris?

20 MR. SHELTON: I would add, last year, at
21 least, on a storage sub-committee we did a paper
22 on storage strategy, and we questioned this very

1 question about. What should the scope of the DOE
2 activity be? We actually went back to the DOE
3 mission, which very clearly states that all of
4 these activities would relate to the mission.

5 MR. CENTOLELLA: Okay. Any other
6 questions or comments on this recommendation?
7 Okay. Moving to where I started to look at,
8 before in my notes. So this is something that Joe
9 talked about earlier, the outage cost, or
10 interruption cost estimated that DOE has put
11 together one of the things that the Committee
12 noted is that while this is some of the best
13 available data sets the DOE use, it is largely
14 based on older data.

15 Only two of the data sets that are in it
16 today, are post 2000, it doesn't include data from
17 the Northeast or Mountain West. It doesn't cover
18 outages longer than eight hours and, you know, we
19 recommended there was a need to improve the
20 granularity and quality of data that was
21 available, and to look at this for different
22 customer segments than simply just the broad

1 customer classes that are indicated now.

2 And recommended that DOE work with the
3 industry to develop and make available additional
4 data on the cost of outages, improve the
5 granularity and quality of data. You know, look
6 at some different customer segmentations, and that
7 this additional data should be considered for
8 inclusion in the ICE calculator as it becomes
9 available. Questions or comments about this?
10 Clarke?

11 MR. GELLINGS: I hate to do this at this
12 eleventh hour, we've criticized each other for
13 doing that to papers that we've written, and I
14 should have caught that before. But just as
15 serious, and we heard from this from the panel
16 earlier, are power quality events. So I suggest,
17 simply adding some words that go beyond outage --
18 you know, outage and power quality.

19 MR. CENTOLELLA: That we can do. Any
20 other questions or comments? Okay. Move on to
21 the next recommendation, which is about automating
22 demand participation. So we've heard a little bit

1 about this but, you know, this is an area where,
2 if you think about electric demand, most of the
3 things that use electricity are either associated
4 with thermal inertia. You know, they are building
5 heating and cooling, water heating, refrigeration,
6 or there's some flexibility in the timing with
7 which they use electricity.

8 You know, they are pumping loads, batch
9 processes, charging of electric vehicles, you
10 know, and other things. And this represents a
11 significant potential resource on the system. At
12 the same time, when you saw it in some of the
13 presentations earlier today, you know, we have,
14 you know, a private industry that is coming into
15 this space and, you know, in significant ways.

16 You are of course aware Google's
17 investment in NES, of Apple's home kit platform.
18 You know, and of all the things that are going on
19 in big box stores, in telecoms and cable
20 companies, and you know -- and this has a
21 potential to really remarkably change the power
22 system in some very positive ways.

1 However, you know, there are also some
2 barriers. Many of those barriers are regulatory.
3 The lack of common standards, full self-settlement
4 practices. The theory of RSOs and RTOs which
5 today are oftentimes calculate a -- within the
6 operating day and then they could just look at the
7 forecast. But don't make any information
8 available based on that, and that information
9 could be used to help position demand to better
10 manage the system.

11 So what we've recommended here, is the
12 department should prepare an analysis, of how best
13 to remove barriers, and enable responses from
14 smart devices. It should support the development
15 of a benefit cost framework, a
16 common-standard-based approach for communicating
17 with smart devices, and where cost effective from
18 a systems perspective, inclusion of response and
19 capability and DOE efficiency standards.

20 And notice that such that could provide
21 for (inaudible) State Commissions an opportunity
22 to ensure that smart energy using devices can

1 contribute to the reliable and efficient operation
2 of the power system. Questions or comments about
3 this recommendation? Heather?

4 MS. SANDERS: So we really agree with
5 making what devices and customers do link to the
6 wholesale markets, and I wanted to offer something
7 in the recommendation about looking at the reasons
8 why the ISOs and RTOs don't offer those look-ahead
9 prices. There are implications to doing that.

10 They are rarely -- they rarely
11 materialize in a way we did, about five years ago,
12 we wrote a price device paper with this very
13 concept, and then we started looking at the market
14 data and found that, you know, we do calculations
15 a day ahead of course, and then we do it on a
16 rolling 15-minute unit commitment basis about
17 four-and- a-half hours ahead.

18 And what we found, I had one of the
19 market announcer guys do something to say, okay,
20 how many intervals do we find that we are actually
21 -- you know, we broke it up into 10 intervals just
22 to try to get some semblance. How many times are

1 we really in those ranges with our predictive
2 prices, versus the actual prices? And it was not
3 a very good indicator. So that's why we don't do
4 it, because those implications are, that if I put
5 an advisory price out with some expectation, and
6 it actually doesn't turn out that way, you know,
7 what does that mean?

8 And then, on the other hand, if I put
9 out an advisory price, and then something happens
10 and the prices are lower. So I'd like to include
11 in this recommendation some attention paid to that
12 research, that says if you do offer these, what
13 are the implications, and if you do offer these
14 advisory prices, what are the implications of
15 doing that.

16 SPEAKER: Are you saying you want
17 uncertainty and variability?

18 MR. CENTOLELLA: So I think that's a
19 fair modification, Heather. We do try and --
20 writing this, I think we've got it in here. It
21 talked about information based upon the Look Ahead
22 forecast, rather than the Look Ahead forecast

1 itself, recognizing that there may be reasons to
2 modify that in terms of how you go about offering
3 information the position demand. Tim?

4 MR. MOUNT: I'd like to sort of make a
5 counter to what Heather said. In Australia they
6 do this all the time. They project prices ahead,
7 and the purpose of those prices is not to be
8 accurate, but to say; this is what we think is
9 going to happen to the system given the resources
10 that we have on hand; the offers and everything
11 that we have in the market. If they are
12 projecting very high prices, they hope new
13 resources are going to come in and make those
14 prices low. You know, you are not giving binding
15 prices; you are giving information about the
16 system.

17 MR. CENTOLELLA: Right. And I think the
18 other thing we had in mind is that this is -- this
19 is simply additional information and that market
20 participants, including, you know, companies that
21 are, you know, investing in data analytics of, you
22 know, homes and businesses, we'll take into

1 account as an additional piece of information.

2 And may not regard it as, you know, the price in
3 the future. Other comments or question? Marilyn?

4 MR. BROWN: Just a little picky question
5 about using the term, presuming at the point is to
6 remove barriers. I've had to hark back to a
7 report that I wrote with a Bob Marley, back at the
8 DOE days, when the 2005 Energy Policy Act,
9 required preparation of a multi-agency report,
10 identifying the market failures and barriers to
11 energy efficiency and clean energy technologies.

12 The point -- and in writing that report
13 we had material reviewed by the Council of
14 Economic Advisors, and OMB, that were very picky
15 about the use of the terms market failures and
16 barriers. They are quite different. They felt it
17 was important to place the need for intervention
18 in the context of where the market has failed, and
19 if in order to address those failures, you need to
20 identify and tackle barriers that may not be
21 market failures, that that was justifiable.

22 But first you have to identify what is

1 the market flaw, or what are the flaws, they may
2 be regulator in nature, and this harmonious
3 regulations. It may be asymmetric information, it
4 may be externalities, but I guess I would try to
5 tighten up that language. Identify the market
6 failures. I mean, I don't know how to say it
7 succinctly. You might just maybe at least address
8 it by saying, market failures and barriers, that
9 in the context of the report we might even flesh
10 out what that means, the market barriers.

11 You know, these guys over there, the two
12 economists sitting there -- or maybe -- Granger, I
13 don't if you are an economist. Tim is. You know,
14 you study this all the time, it's the -- what is
15 the market failure, to justify this intervention,
16 and then to intervene you may need to know a
17 little bit more about the barriers to ensuring
18 that the optimal, societal investment is made. So
19 are you following?

20 MR. CENTOLELLA: Yes. I am.

21 MR. BROWN: Can you hear me?

22 MR. CENTOLELLA: And as an economist I

1 understand what you are talking about. You know,
2 I had used the term barriers think of market
3 values as a subset of barriers. Recognizing that
4 not everything that maybe identified may be
5 something that requires a public policy
6 intervention, it may simply be a discussion among
7 vendors about how to reach a common standard.

8 MR. BROWN: Yeah. And I was getting to
9 harking back to Hank Henchington's question, is
10 there a public role? Is there a need for a public
11 role here? I think you should state that, and
12 then go from there?

13 MR. CENTOLELLA: Okay. I have no
14 problem saying market failures and barriers;
15 that's --

16 MR. BROWN: Okay. And that's the logic?

17 MR. CENTOLELLA: And then it may be that
18 once DOE has identified what's going on, you know,
19 within the sector, we may decide that some things
20 are market failures in our public policy
21 intervention. Other things are simply barriers
22 because the market is not yet sufficiently

1 developed, and those things may be remedied,
2 within the private sector once more people
3 understand them.

4 MR. BROWN: Perfect. Exactly.

5 MR. CENTOLELLA: Okay.

6 MR. BROWN: Yeah. Yeah.

7 MR. CENTOLELLA: Any other comments on
8 this recommendation? And you've got --

9 MS. REDER: Got it.

10 MR. CENTOLELLA: Got to change. Okay,
11 moving on then. The next one is on volt VAR
12 optimization, and you know, we heard a good
13 discussion from Joe, of the fact that this is a
14 real area of some low-hanging fruit in terms of
15 economic value. There are a couple of -- I don't
16 know that they are -- they are market failures,
17 but they are certainly barriers. And one is the
18 lack of planning and measurement and verification
19 tools, at this point, that allows utilities and
20 regulators to estimate these things.

21 The next one may be a market or a
22 regulatory failure, and that is that, you know,

1 that as you do volt- VAR optimization, you are
2 also reducing the throughput through the meters of
3 apparent power. And that means lower revenue
4 potentially, through utilities that have
5 volume-metric base rate recovery. And so it may
6 be that you need the former in order to remedy the
7 second element, but these are areas where we
8 thought we needed some remedy, and so there's a
9 very detailed recommendation in the report to try
10 to build on what DOE has done already.

11 That it should, you know, pursue several
12 developments that facilitate the improved
13 evaluation of volt-VAR optimization, and unleash
14 the benefits that it has identified, including,
15 number one, develop a business case calculator
16 that would help utilities evaluate the cost and
17 benefits of Volt-VAR optimization on their
18 systems.

19 Number two, develop a measurement and
20 verification tool, that consist of a standard
21 recommended measurement techniques and metrics
22 that can be consistently applied to measure and

1 verify the benefits that you get from Volt-VAR
2 optimization which, you know, you may not always
3 be as straightforward as -- you know, as some
4 other things.

5 Third, if there's a need for planning
6 tools, recognizing that -- you know, that Volt-VAR
7 optimization gives you different things on
8 different types of feeders, and we saw that
9 earlier in Joe's presentation. And finally, a
10 database that really showcases the results that
11 have been achieved, where different technologies,
12 both the existing Volt-VAR conservation voltage
13 reduction kinds of technologies, as well as some
14 of the emerging technologies in terms of solid
15 state power electronics, that the department has
16 helped develop, that also contribute in this area.
17 Show what they can accomplish.

18 That's the recommendation, are there
19 questions or comments about recommendation six?
20 Great, let's move on.

21 Distributional pricing; this is an area
22 where, again, this is a regulatory question that's

1 coming to the fore, as regulators are struggling
2 with how to recover the cost of enhanced
3 reliability, treatise (inaudible) with energy
4 resources. Discuss different elements of
5 distribution cost causation, deal with recovery of
6 fixed distribution costs, and value metric rates.

7 The recommendation here is that the
8 Department should assist interested regulators and
9 utilities in addressing these issues, by preparing
10 a white paper, or a series of white papers on the
11 following topics. First of all, issues and
12 options for providing and pricing enhanced levels
13 of reliability.

14 Secondly, alternative approaches for the
15 recovery of fixed distribution costs. Third, the
16 development of distribution models that could
17 facilitate efficient pricing of distribution for
18 distributed energy resources, including approaches
19 that are designed to incent efficient siting and
20 operation and distributed generation. And fourth,
21 methodologies for depreciation that can be applied
22 to new smart grid technologies that may have

1 shorter lives than traditional technologies.

2 Clarke?

3 MR. GELLINGS: Paul, a nit here, but I
4 think the Department might be in a tough spot when
5 it starts doing pricing work, and so the title,
6 Distribution Rate-Making, might be more
7 appropriate.

8 MR. CENTOLELLA: Okay, I think that --
9 Okay, the label, Distributing Pricing, is mine for
10 purposes of the slide. We can go back and see
11 whether or not that's actually used in the body of
12 the report. You know, I don't know whether we
13 used it or not, but we can certainly go back and
14 check. Jeff?

15 MR. MORRIS: Thank you. Yeah, I just --
16 my one thought when I looked at this
17 recommendation was just that, while appropriately
18 looking at rates, there are other group states
19 that have very strong lifecycle risks, IRP states,
20 where monetization of technologies that can take
21 capacity off the system, those types of values
22 would be a very important, in the eventual

1 rate-making process as well, that have a robust
2 frontend integrated resource planning process.

3 So, you know, one bullet might be, you
4 know, methodologies to monetize, you know, new
5 energy technologies and the integrated resource
6 planning process.

7 MR. CENTOLELLA: Okay. Thoughts about
8 adding just a bullet?

9 MS. REDER: An extra bullet (inaudible)?

10 MR. CENTOLELLA: Yes. Jeff had an extra
11 bullet to propose. Do you want to repeat your
12 last raise, we want to know, to get it down.

13 MR. MORRIS: Check me for consistency
14 now, huh?

15 MS. REDER: Yeah.

16 MR. MORRIS: Developed methodologies for
17 monetizing the value of new energy technologies
18 that can integrate renewables, or take capacity
19 off the grid for integrated resource planning
20 processes.

21 MR. CENTOLELLA: Okay. For integrated
22 resource planning processes -- did you get that,

1 Wanda?

2 MS. REDER: Yes.

3 MR. CENTOLELLA: Okay. I have no
4 objection to this, are the Committee members fine
5 with that addition?

6 MS. REDER: Yes.

7 MR. CENTOLELLA: Okay. Any other
8 thoughts about recommendation seven?

9 MS. SANDERS: I have a question?

10 MR. CENTOLELLA: Yes, Heather?

11 MS. SANDERS: Okay. This is more of a
12 question than a recommendation. On this one, I'm
13 wondering about defining services that distributed
14 resources can offer to the Utility, and how the
15 Utility would pay for those services. I don't
16 know if it fits here or not.

17 It seems like the intent of this one is
18 about cost recovery of integrated distributed
19 energy resources, and the distribution system
20 built to do that. But with those distributed --
21 you know, those distributed resources come
22 capabilities that they can be sold to the

1 utilities, and I'm wondering if that belongs here,
2 in that consideration, or if it belongs somewhere
3 else?

4 MR. CENTOLELLA: It's a good point. You
5 know, I mean, we talk a little bit about it when
6 we were talking about what are the impacts of
7 distributed technologies. We didn't really go
8 into defining markets or how -- you know, what
9 those capabilities would be in terms of how they
10 would be costed, I guess.

11 MS. SANDERS: Right. Because what I'm
12 thinking is that if you are relying on distributed
13 energy resources to offset some of the capacity
14 procurement that the utility must do. The utility
15 may be buying that capacity as well from the
16 distributed resources.

17 MR. CENTOLELLA: Right.

18 MS. SANDERS: Rather than just having
19 the individual end user procuring that, and then
20 it just being there. I mean it really depends on
21 how the structure is, so I just thought I'd bring
22 that up because it does enter into the

1 conversation once you start building or adding
2 these distributed resources as -- to serve the
3 utility in a reliability perspective.

4 MR. CENTOLELLA: So I think there may be
5 some language that would, at least in part cover
6 that, back when we talk about distribution
7 planning and operational models, and -- you know,
8 and therefore what the impacts of these kinds of
9 resources would be. You know, if we -- if you
10 want to come up with -- if you think there's a
11 sentence that captures that, that's missing, we
12 can certainly look at that.

13 MS. SANDERS: Yes. Okay.

14 CHAIRMAN COWART: Hi. Hi, Paul. I have
15 the recommendation.

16 MR. CENTOLELLA: Okay.

17 CHAIRMAN COWART: That I think does
18 capture it; if you look at your third bullet.

19 MR. CENTOLELLA: Yes.

20 CHAIRMAN COWART: Alternative
21 methodologies, development of distribution models
22 that could facilitate efficient pricing, just

1 strike -- of distribution. Efficient pricing for
2 distributed energy resources, including approaches
3 designed to incent, and you -- it directly
4 addressed Heather's problem.

5 MR. CENTOLELLA: Okay. Let's make that
6 strike. Okay. Granger, I had you next.

7 MR. MORGAN: Yeah. On the first bullet,
8 I don't want to propose a change, I just want to
9 make sure that it's presumed that this includes
10 customers' premise -- response. I mean, Anne, for
11 example, was talking about customers who have
12 great problems, lose a day's business if they get
13 a slight hiccup. Those guys ought to have, you
14 know, power conditioners at their places, and so
15 it may be much more cost-effective to do that on
16 the customer side rather than, you know, on the
17 distribution system side. And so I presume that's
18 implicit --

19 MR. CENTOLELLA: Yes. We are not making
20 a presumption that it has to be done by the
21 utility.

22 MR. MORGAN: Yeah. Okay. Very good.

1 MR. CENTOLELLA: Jeff, did you have
2 something further?

3 MR. MORRIS: So, sir.

4 MR. CENTOLELLA: Okay. Merwin?

5 MR. BROWN: Merwin Brown, CIEE. Now of
6 all these discussion, I'm not sure what this is
7 for. Is this to -- is the ultimate customer, a
8 stakeholder really a policymaker, regulatory
9 person who is trying to decide how to put in place
10 a regulation, or a policy to allow this use of
11 distributed resources, through, say, a market or a
12 regulated kind of thing. Is that what these tools
13 are for? Is that who would use them?

14 MR. CENTOLELLA: So it would be used by
15 regulators and policymakers, it could also be used
16 by utilities and these tools may be available as
17 well, to other stakeholders who are participating
18 in regulatory proceedings to help them better
19 understand --

20 MR. BROWN: Okay.

21 MR. CENTOLELLA: -- you know, some of
22 the (inaudible).

1 MR. BROWN: But it's really to help
2 decide what might be the consequences of taking a
3 certain position or action with regard to how to
4 treat distributed resources. It's not really
5 meant to be used as a marketing type?

6 MR. CENTOLELLA: No. It's not a
7 marketing-type tool at all. It's a -- you know,
8 these are analytical tools, you know, to evaluate
9 impacts.

10 MR. BROWN: Yeah. By marketing I meant,
11 using a market situation to determine price,
12 that's not what these are for. Okay. I'm back on
13 track again.

14 MR. CENTOLELLA: Yeah.

15 MR. BROWN: Thanks.

16 MR. CENTOLELLA: Anjan?

17 MR. BOSE: My question is along the same
18 lines. As I see the many recommendations, most of
19 them are talking about methods and models and
20 tools, and it kind of -- there's of course -- lots
21 of methods and models and tools out there, right
22 now, in almost every one of these areas.

1 Somewhere in the R&D stages, some are just
2 proposed, some are -- the question is, I'm trying
3 to figure what is -- what are we asking DOE to do
4 here? Most of your recommendations start out with
5 assist regulators, so are we trying -- are we
6 saying DOE should endorse one of these models, or
7 what? I mean -- I'm getting a bit confused.

8 MR. CENTOLELLA: So the -- you know, the
9 point is that regulators and in some cases
10 utilities as well, you know, don't have tools that
11 are sufficient to address some of these issues,
12 and so DOE, I think, has a rule, in the
13 development of informational tools which
14 regulators and utilities and others can then
15 choose to use or not use, you know, based upon
16 their applicability in their particular situation.

17 MR. BOSE: That's precisely my point,
18 it's that since there are many, many models and
19 methods out there should -- are you suggesting
20 that DOE should increase R&D in that area, and
21 actually they do R&D in these areas already, so
22 they do some kind of consolidation of what R&D has

1 already been doing.

2 MR. CENTOLELLA: So we attempted to look
3 where we were able to identify what DOE was
4 already doing, acknowledge what they were doing,
5 identify areas where there were gaps over
6 weaknesses in what they were doing, and make
7 suggestions about ways to enhance those areas. So
8 we did talk with people in the Department about
9 what was already, you know, underway in a number
10 of those areas, and we referenced some of that
11 work.

12 MR. MORGAN: But to follow up on Anjan's
13 remark.

14 MR. CENTOLELLA: Yeah.

15 MR. BOSE: I mean, is there any
16 discussion in the frontend of this piece about
17 collaborating with NARUC, that those -- research
18 in these areas, or it does work in these areas to
19 support NARUC members.

20 MR. CENTOLELLA: Well, there's certainly
21 a theme of collaborating with regulators
22 throughout the paper. I don't know that there is

1 a specific upfront mention of NARUC. Most of what
2 -- much of the research work that NARUC takes on
3 is it actually comes from funds that come from
4 DOE, you know, so I think that whether the
5 Department does this directly, or does it through
6 NARUC I think is -- you know, I mean that's the
7 question to be determined down the road.

8 I realize I'm past my time when I should
9 be going to the airport. You know, we have three
10 more recommendations to go through. Rebecca, do
11 you want to, you know, take over here? I
12 apologize. Okay. Thanks.

13 MS. WAGNER: Okay. So we can do this
14 quickly while Paul is still gathering his stuff.
15 Any more changes to recommendation number seven?
16 Okay. Recommendation number eight; and it's been
17 a while since I've looked at this, because I've
18 looked at too often. Recommendation number eight
19 goes along the lines of social cost. Do we have
20 any questions on social cost on this
21 recommendation? Okay, seeing none.

22 Recommendation nine goes along with

1 support for innovation. Okay, thank you for
2 clicking this along for me. And this
3 recommendation is that the Department prepare a
4 white paper for options for advancing energy
5 innovation including through statement and
6 regionally- based institutions. The white paper
7 should address the option that running through
8 utility rates --

9 SPEAKER: Thanks, Paul.

10 MS. WAGNER: -- could be one of several
11 potential sources of support for innovation
12 initiatives. Any questions or comments on this
13 one? Good. Thank you. DOE convening authority,
14 this is the section that I'm actually familiar
15 with so it will be easier if you do have
16 questions.

17 The intent here was so that DOE has
18 broad convening authority, whether it be through
19 NARUC type events; DOE has funded some of the
20 functions that we've doing in the West for the
21 State-Provincial Steering Committee. There's a
22 lot of opportunities where regulators, utilities

1 and policymakers are gathering and use DOE's
2 convening authority to continue this discussion
3 and evolve it to the next level. And so any
4 questions on this recommendation? There you go,
5 Wanda.

6 MR. MORGAN: Well, I would like to know
7 on recommendation eight, what social cost mean.
8 Does that include the cost of disruption, or power
9 unavailability; because if it does, then the tools
10 to assess that at the moment are in really pretty
11 pathetic shape?

12 MS. WAGNER: I think when we are looking
13 at social cost, I mean, we geared this mostly
14 around -- well, 111(d) is what I was thinking, and
15 that's the first issue, but to your point -- I
16 think you make a valid point.

17 MR. MORGAN: Yes. I mean at the moment
18 the tools we've got to assess the cost of power,
19 reliability and disruption, are just, from my
20 perspective, inadequate. I mean, they are a
21 decade old, and when you go back and look at them,
22 how they've been done. I mean, if that's not

1 what's implied there, then I'll just shut up.

2 CHAIRMAN COWART: But, Granger, there's
3 an earlier recommendation exactly on that point.

4 MS. WAGNER: Right. I was just going to
5 say that, there's a recommendation earlier.

6 CHAIRMAN COWART: The recommendation on
7 valuing the cost of outages and power disruptions?

8 MS. WAGNER: I think it's recommendation
9 four.

10 MR. MORGAN: Okay.

11 MS. WAGNER: And that's where you raised
12 the point about power quality events, and the
13 recommendation there is to update the ICE -- or
14 interruption cost, the estimation tool.

15 MR. MORGAN: Right. And no one on the
16 -- I'm sorry, so I should have caught this
17 earlier, but that one only talks about data, and
18 what's clearly also needed are available data and
19 improved methods for -- I mean--

20 CHAIRMAN COWART: That's something for
21 the record.

22 MR. MORGAN: Okay. Thank you.

1 MS. WAGNER: Clark?

2 MR. GELLINGS: Yeah. I don't want to
3 complicate this anymore than it needs to be, but
4 as I've been touring the nation talking about some
5 of the issues regarding the integrated grid, among
6 the things that are in this category are, like,
7 the local economy, and employment, water issues,
8 which are often regional in nature. I mean, the
9 list goes on. So, I'm not suggesting that you
10 necessarily lengthen the list for this purpose,
11 but looking at the title, and the description,
12 it's not clear to me that you intend to narrow it
13 down only to environmental, and a few other things
14 that you've mentioned. So maybe the language just
15 needs to be tightened up. Or maybe in the text it
16 is tighter.

17 MS. WAGNER: I tend to agree with that
18 because special cost means different things to
19 different people, and I can look back through
20 this, and see if there is -- I think it's just
21 kind of a broad catch-all phrase, rather than to
22 be narrowed down, so maybe we can think of a

1 better term for social cost.

2 CHAIRMAN COWART: The way I read this
3 text, it was intended to be broad, and it was
4 intended, you know, it's constrained by where
5 practicable. And it's intended to offer a menu to
6 state decision-makers and utilities about costs
7 that they may wish to consider. So I guess my
8 take on it is, it would be a reminder to people to
9 consider if water is really important in your
10 jurisdiction. You might want to consider impacts
11 on water resources.

12 In other places that consideration might
13 be more on employment or power quality, or
14 emissions. But as a Former State Regulator who
15 would be the recipient of this kind of
16 information, I think it was fine. And it wasn't
17 going to be -- it wasn't going to be possible in
18 this paper to specify exactly which ones we think
19 are relevant in the case of creating a utility
20 business model that includes, you know, the
21 forward-looking distributed DER view of the world,
22 so.

1 MS. WAGNER: And I think there is also,
2 in the text of it, we know that these are
3 potential examples, so I don't know that we could
4 have an all-inclusive list, and I don't know how
5 we change the title to "social cost" including
6 the, not limited to... but I think the point is
7 well taken but it's -- from what -- for me, as a
8 regulator, water would be a critical component of
9 this.

10 CHAIRMAN COWART: So I hope DOE knows
11 what we are asking them to do.

12 MS. WAGNER: I can take a look at
13 clarifying some of the language potentially.
14 Okay.

15 CHAIRMAN COWART: All right, Wanda, I
16 think you are up.

17 MS. REDER: Yeah.

18 CHAIRMAN COWART: Right. Yes, Wanda.
19 Are you requesting a motion to approve the paper?

20 MS. REDER: Well, it just -- it depends
21 on how you want to do it. I think it might be
22 best for -- just to take his recommendations with

1 regard -- do a track change, send it around
2 tonight, and then call for a vote tomorrow. We
3 can do it now. I mean, I've got them, so however
4 you want to handle it.

5 CHAIRMAN COWART: Any requests from the
6 Committee one way or the other? Merwin?

7 MR. BROWN: I didn't hear enough major
8 change that would mean we need to ponder this.

9 MS. REDER: Okay.

10 MR. BROWN: So I would suggest a vote
11 based upon what's been said here.

12 MS. REDER: It sounds good to me. Move
13 to approve?

14 MR. BROWN: So moved.

15 CHAIRMAN COWART: Is there a second?

16 MR. HUDSON: Second.

17 CHAIRMAN COWART: All in favor, say aye?

18 MS. REDER: Aye.

19 CHAIRMAN COWART: Are there any opposed?

20 All right the recommendation of -- for this
21 document, with its recommendation has been
22 approved by the EAC, and we understand that the

1 changes that have been made orally here today will
2 be included. Thanks very much. And thanks to all
3 the authors for putting this together (applause).

4 (Motion approved. No nays voiced)

5 MS. REDER: Yeah. A great piece of
6 work; and they did a lot on it. Okay. I think
7 we'll just jump straight to this. Before we do
8 this, Clark, did you want to add anything on the
9 R&D piece?

10 MR. GELLINGS: There is nothing, yet,
11 much to add. Let me just quickly, for those who
12 aren't familiar with the background on the R&D
13 paper, it's about two-and- a-half years old at
14 this point. It was originally drafted because of
15 the concern that several of us had that the focus
16 of everything to do with smart grid seem to be
17 gravitating to the meter. As if people were
18 saying, well, the smart grid is the smart meter,
19 and vice versa.

20 And we were a bit concerned that really
21 the smart grid ultimately is a whole a lot more
22 elements of functionality that would be added to

1 the power delivery system, now even, obviously
2 distributed energy resources as well, which is
3 much in the dialogue at the time. And perhaps we
4 could help highlight that but putting in a R&D
5 paper together. The purpose of which, more was a
6 catalogue of all of the things that should be
7 done, not necessarily by the DOE, but by the
8 world, in order to truly realize all the elements
9 of functionality that we could. And so, now we
10 held off on actually finishing the draft, until
11 the architecture paper which you'll hear about
12 tomorrow, was completed.

13 Just to be sure that we now have
14 included the technologies that were identified as
15 part of that effort, that's been done. And
16 actually the R&D paper has been redrafted, it's
17 not yet been circulated except for -- to just a
18 few of us -- but the plan is to do that, and we
19 are going to be most anxious for comments. I have
20 a concern that the last time we circulated it we
21 got no comments.

22 That either means we did a hell of a

1 job, or nobody paid much attention to it. I'll
2 let you figure out which one that might be. I can
3 tell you where my concern lies, and when you are
4 looking at it, one of the things that's still an
5 open item; it's what is it that we tell -- out of
6 all of this, what do we tell DOE, that we think
7 they ought to do, or ought to look at?

8 Because they can't possibly do
9 everything that's identified in that paper; one
10 thing we can do, which I'll leave it for you to
11 think about, is to use it as a way to argue that
12 really Pat Hoffman should get a lot more money.
13 Okay. Now, if -- even if that doesn't happen, it
14 may at least help support and reinforce the fact
15 that at least, nobody should take the money that
16 she already has, which is always the risk, I
17 suppose.

18 So, I don't know. Anything else Wanda,
19 that I could say about it? I look forward to
20 everybody's comments. I think it probably will --
21 it has elements of everything from each of the
22 sub-committee, so I think we'll circulate it, even

1 though it's a sub-committee effort, I think we'll
2 probably circulate it rather broadly, and look
3 forward to comments. Thank you.

4 MS. REDER: Okay. And the other person
5 we -- piece of work that we have is, Carlos Coe is
6 leading it. It's in conjunction with the Storage
7 Committee. This will come on the heels of the
8 storage paper that Merwin will talk tomorrow. But
9 essentially, it goes into the distributed energy
10 storage aspect which has been only touched
11 slightly on in prior work. So we have provided a
12 bit of an update here in terms of the definition,
13 the scope.

14 And of course we'll get into the gaps
15 and the current work plan and status is to roll
16 this out in early 2015. So well, we have refined,
17 I think, the outline that was presented before,
18 and it's weaving in nicely, I think, on the heels
19 of the work that we'll talk about tomorrow.

20 The only other thing that I wanted to
21 switch gears on then, is the workforce piece.
22 That's a separate Ad Hoc Committee to give you a

1 little background, since several of you are new to
2 this. We actually started in 2012, with a pretty
3 thorough piece of work. These are the folks that
4 are currently involved, of course, with changes on
5 the Committee. Some have gone off, and some have
6 been added, but fundamentally we realize that
7 there was kind of a perfect storm brewing with a
8 lot of people retiring and exiting, and the
9 changing of skills and so forth.

10 And came up with a whole laundry list of
11 recommendations, in fact there's so many that we
12 prioritized them, in a kind of have first tier and
13 a second tier. But the top one, above all, was to
14 take the findings that were coming out of the \$100
15 million of the ARRA Smart Grid Education funds,
16 and the programs and curriculum that came out of
17 that, and kind of make them public, put them on a
18 portal, get them out there so others could use
19 them. And of course the rest of the list goes on,
20 so that was the 2012 paper.

21 In 2013, we again came back and said
22 that the ARRA projects were a very important piece

1 of work. We did some further survey work through
2 CEWD to try and figure out the prioritization, and
3 what people are really thinking, and came forth
4 with some more recommendations along those lines.

5 And it's kind of now, essentially, where
6 we are in 2014, as we see that there is a lot of
7 pieces of education as it relates to Power and
8 Energy, Department of Labor, Department of
9 Education, Natural Science Foundation. And at the
10 end of the course, the DOE as well, but yet
11 there's no real overall owner.

12 So, well, there's been programs, and
13 initiatives and pieces that have kind of evolved
14 over time. Essentially what we are seeing is that
15 we, I think, in terms of all agencies, need a
16 leader to kind of pull this stuff together.
17 Meanwhile we also recognize that within DOE
18 there've been resource constraints. So we
19 circulated these recommendations the last meeting,
20 and essentially we are trying to position the
21 question here today, as though this memo says, we
22 are encouraging DOE/OE to take the lead and pull

1 these agencies together and coordinate the effort.

2 Recognizing that there's good work
3 that's been done, materials need to be made
4 available and this Department ownership, really,
5 still lingers. So, DOE has more of a targeted
6 focus on the energy-related issues, and so that's
7 kind of where we left the observations. And then
8 these were the following recommendations that were
9 coming out. So, essentially what we wanted out of
10 this effort here today, again, is a full EAC vote
11 on these recommendations.

12 And Anjan, I don't know if you wanted to
13 add anything, you've been active in this effort
14 all along. These four, and those four, were the
15 eight separate recommendations that were in the
16 memo. Nothing?

17 MR. BOSE: Right.

18 SPEAKER: Do you want to comment?

19 MR. BOSE: I'll just repeat what the
20 main observation here, was that nobody has a
21 particular mandate to look at the workforce issues
22 in the energy industry from the Federal Government

1 side. And so we are stuck between the fact that
2 NSF has a STEM mandate, an overall mandate in
3 education, but it doesn't -- and almost everything
4 that NSF does today, has an educational part to
5 it. But DOE, I think, has done things at various
6 different times, but not as a part of an overall
7 mandate. So that's where these recommendations
8 came about.

9 MS. REDER: Yeah, Pat. What are you
10 thinking?

11 MS. HOFFMAN: My only comment is that I
12 have my own workforce issue.

13 MS. REDER: I know you've been -- this
14 has been a hard thing to kind of get, given all of
15 the other things that have been on the plate, so
16 that's really been the challenge. Yeah. But I --
17 did you have a follow-on, Pat, or move to Carl?

18 MS. HOFFMAN: No. I was just going to
19 say, that I think some things should be relatively
20 straightforward from, you know, going back to your
21 original point that we need to capitalize on the
22 investments that have already been made, and

1 that's a relatively straightforward, high
2 priority, that we just need to assign somebody to
3 and get it done.

4 MS. REDER: Carl?

5 MR. ZICHELLA: Yeah. I strongly support
6 the idea of having a driver to the process. As
7 Anjan just pointed out, you know, we have this
8 situation where little bit of things are
9 vulcanized across a number of variety of
10 locations. We need to sort of martial that, and
11 point it in the right direction. The only
12 question I have is, you know, does OE, as an
13 office within the Department have that kind of
14 clout to move other entities that are not part of
15 its own portfolio of -- or a little satellite of
16 its own operation, if you know what I mean.

17 So that's a question. Should it be
18 something that somebody -- some other entity
19 within DOE, or is OE going to be able to move, you
20 know, labor or National Science Foundation, or
21 others to coordinate? Somebody needs to do it,
22 but they have to have enough gravitas that the

1 others will listen.

2 MS. REDER: That's a fair question.
3 We've had people from Labor and NSF on the
4 discussion, so I certainly recognize that could be
5 a big problem, if people haven't been involved,
6 but I think there is willingness to kind of share.
7 Pat, did you have any follow-on to that?

8 MS. HOFFMAN: No. I think we can engage
9 the other agencies, and I mean, in the past we've
10 tried to take the recommendations from the EAC,
11 and as it affects other agencies, really try to
12 get them on board. We do, do a lot of work with
13 NSF, and you know, try to make sure that we are
14 engaged with the CEWD and some of the major
15 players. It's an important thing to do. It kind
16 of comes down at the end of the day, what are the
17 specific things that we want to do together, to
18 move that ball forward.

19 And the different mission, priorities of
20 the different federal agencies, as Anjan brought
21 up, it makes it difficult to pull that package
22 together because of that.

1 MR. ZICHELLA: Yeah. I understand. I
2 think we made other efforts in related fields, the
3 Rapid Response Team for transmission. You know,
4 the role that CEQ plays in that; out of White
5 House to try to get the agencies together on NEPA
6 issues, for example. There is not a great
7 analogue to this, but it seems to me that that's
8 the right idea, to try to get those -- make it
9 meaningful for them to be there, you know. It's
10 going to be enough of a priority, I guess, is the
11 answer.

12 MR. BOSE: I think, Carl, the thought
13 here was that even though this is sort of a
14 divided responsibility among many agencies, and so
15 on that -- and even within DOE, it should be
16 actually higher up than OE because OE is mainly on
17 the power grid side, and energy is much bigger
18 than that. But our tactics here was to say that,
19 maybe OE can be the champion of this, given the
20 large amount of investment they have already made
21 in the ARRA Grant, and keep these other people
22 kind of involved.

1 MR. ZICHELLA: They have more skin in
2 the game, that's for sure.

3 MS. REDER: There's more -- Yeah, go
4 ahead, Rich.

5 CHAIRMAN COWART: Well I'm just -- I'm
6 wondering whether the discussion has now proceeded
7 to a point where we could --

8 MS. REDER: Let's vote.

9 CHAIRMAN COWART: -- entertain a motion
10 to have a vote, or not?

11 MS. REDER: Yeah. It sounds good to me.
12 So moved; if I can.

13 MS. WAGNER: I second.

14 CHAIRMAN COWART: All right. It's moved
15 and seconded. All in favor of approving this
16 workforce memorandum say, aye.

17 SPEAKERS: Aye.

18 CHAIRMAN COWART: Are there any opposed.

19 (Motion passed by voice vote)

20 CHAIRMAN COWART: All right, it's
21 approved and we have put the ball in the hands of
22 OE, and recognizing that -- obviously that would

1 have to lead to other steps, but I think --

2 MS. REDER: Right. Okay.

3 CHAIRMAN COWART: And Pat knows that.

4 MS. REDER: Thank you.

5 CHAIRMAN COWART: All right. Thanks,
6 Wanda.

7 MS. REDER: Yeah.

8 CHAIRMAN COWART: And we can't -- we
9 can't today solve her workforce problems, but we
10 can adjourn and go to dinner together, which is
11 what's next -- next on our agenda, we just need
12 some directions, concerning location.

13 MR. MORGAN: It's just across the
14 street.

15 CHAIRMAN COWART: I'm sorry, is there
16 something? Oh, yeah, it's -- I just want
17 everybody to hear that, that's all. That's right.
18 Everybody clear about -- So Matt, or Samir, do you
19 want to tell us what time we are supposed to be at
20 the restaurant?

21 SPEAKER: When does it start?

22 CHAIRMAN COWART: 5:50, it says.

1 MR. SUCCAR: This is Samir. Yes. The
2 restaurant, 5:50.

3 CHAIRMAN COWART: All right. And
4 everybody knows where it is. All right, in that
5 case we are adjourned for today. We will
6 reconvene at 8:00 o'clock tomorrow morning.

7 (Whereupon, the PROCEEDINGS were
8 adjourned.)

9 * * * * *

10

11

12

13

14

15

16

17

18

19

20

21

22

1 CERTIFICATE OF NOTARY PUBLIC

2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary
4 public in and for the Commonwealth of Virginia, do
5 hereby certify that the forgoing PROCEEDING was
6 duly recorded and thereafter reduced to print under
7 my direction; that the witnesses were sworn to tell
8 the truth under penalty of perjury; that said
9 transcript is a true record of the testimony given
10 by witnesses; that I am neither counsel for,
11 related to, nor employed by any of the parties to
12 the action in which this proceeding was called;
13 and, furthermore, that I am not a relative or
14 employee of any attorney or counsel employed by the
15 parties hereto, nor financially or otherwise
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of
20 Virginia

21 My Commission Expires: November 30, 2016

22 Notary Public Number 351998